

1 BEFORE THE COLORADO PUBLIC UTILITIES COMMISSION

2 STATE OF COLORADO

3 -----

4 REPORTER'S TRANSCRIPT

5 -----

6 DOCKET NO. 08I-420EG
7 DECEMBER 2, 2008 WORKSHOP

8 -----

9 Pursuant to notice to all parties of
10 interest, the above-entitled matter came on for
11 hearing before Chairman Ron Binz, Commissioner James
12 Tarpey and Commissioner Matt Baker, commencing at 1:10
13 p.m. on December 2, 2008, at 1560 Broadway, Ninth Floor
14 Conference Room, said proceedings having been reported
15 in shorthand by Harriet S. Weisenthal.

16 Whereupon, the following proceedings were had:

17

18

19

20

21

22

23

24

25

- 1 **WORKSHOP PARTICIPANTS:**
JENNIFER GREMMERT - Energy Outreach Colorado
2 **JAMES ELLIOTT - SourceGas**
ELIZABETH HICKEY - Interwest Energy Alliance
3 **BECKY ENGLISH - Sierra Club**
MICHELLE KING and MARK DAVIDSON - Rocky
4 **Mountain Steel Mills and Climax Molybdenum Company**
STEPHEN SOUTHWICK, FRANK SHAFER and DENNIS SENGER -
5 **Representing Colorado Office of Consumer Counsel**
JIM LAZAR - Senior Advisor with the Regulatory
6 **Assistance Project**
BETH HART - CoSEIA
7 **JOELYN NEWCOMB - INNOVATIVE POWER SYSTEMS and CoSEIA**
RICK COEN - Bella Energy
8 **STEPHANIE FRY - International Energy Treatment Systems**
Technology
9 **HOLLY RACHEL-SMITH and STEVE CHRISS - Wal-Mart Stores**
CHARLIE GRAY and BRIAN IVERSON - Black Hills Energy
10 **PAULA CONNELLY, DAN JAMES, SCOTT BROCKETT and ROY**
PALMER - Xcel Energy
11 **THOR NELSON - Colorado Energy Consumers**
CHRIS HANSEN - Pro Se Xcel Customer
12 **BARBARA MASONER - Pro Se Xcel Customer**
NANCY LAPLACA - Pro Se Xcel Customer
13 **HOWARD GELLER - Southwest Energy Efficiency Project**
ERIC BOWMAN - Akeena Solar and CoSEIA
14 **ERICKS BROLIS - Namaste Solar and CoSEIA**
BRIAN SULLIVAN - SolarCity
15 **PAUL MELAMED - Vision Sun Design and CoSEIA**
DIANE ORF - Colorado Mining Association
16 **JOHN COVERT - Colorado Working Landscapes**
MOREY WOLFSON, JEFF LYNG and MATT FULCH - Governor's
17 **Energy Office**
BILLY KWAN, SCOTT ENGLAND, PAUL CALDERA, JEFF
18 **ACKERMANN, TONY MUNOZ, SHARON PODEIN, BOB BERGMAN,**
MIKE HYDOCK and GERI SANTOS-RACH - Staff of the PUC
19 **BECKY BYE and DAVID BECKETT - Colorado Attorney General**
Office

20 INDEX

	<u>PAGE</u>
21 <u>PRESENTATION</u>	
<u>INVERTED BLOCK RATES</u>	15
22 LAZAR PRESENTATION	15
GROUP DISCUSSION	35
23 TIME-OF-USE RATES	69
LOW-INCOME ELECTRIC BILL ASSISTANCE	107
24 RATE STRUCTURE RELATED TO SOLAR SYSTEMS	124
BILL INFORMATION FORMAT	139
25	

1 Outreach Colorado.

2 MR. ELLIOTT: James Elliott with
3 SourceGas.

4 MS. HICKEY: Lisa Hickey, with Interwest
5 Energy Alliance.

6 MS. ENGLISH: Becky English with Sierra
7 Club.

8 MS. KING: Michelle King with the law
9 firm Dufford & Brown, on behalf of the Rocky Mountain
10 Steel Mills and Climax Molybdenum Company.

11 MR. SHAFER: Frank Shafer, Colorado
12 Office of Consumer Counsel.

13 MR. SENGER: Dennis Senger with the
14 Office of Consumer Counsel.

15 MR. SOUTHWICK: Stephen Southwick,
16 attorney for the OCC.

17 MR. MUNOZ: Tony Munoz, staff of the
18 Commission.

19 MR. LAZAR: Jim Lazar, Senior Advisor
20 with the Regulatory Assistance Project.

21 MS. HART: Beth Hart for CoSEIA.

22 MS. NEWCOMB: JoElyn Newcomb with
23 Innovative Power Systems and CoSEIA.

24 MR. COEN: Rick Coen with Bella Energy.

25 MS. FRY: Stephanie Fry, International

1 Energy Treatment System Technology.

2 MS. ORF: Diane Orf, Colorado Mining
3 Association.

4 MR. CALDARA: Paul Caldara, staff.

5 MR. CHRISS: Steve Chriss, Wal-Mart.

6 MS. SMITH: Holly Rachel Smith, attorney
7 for Wal-Mart.

8 MR. GRAY: Charlie Gray, Black Hills
9 Energy.

10 MR. IVERSON: Brian Iverson, Black Hills
11 Corporation.

12 MR. JAMES: Dan James, Xcel Energy.

13 MR. BROCKETT: Scott Brockett, Xcel
14 Energy.

15 MS. CONNELLY: Paula Connelly, Xcel
16 Energy.

17 MR. ACKERMANN: Jeff Ackermann, advisory
18 staff.

19 MS. BYE: Becky Bye, counsel for the
20 Commission.

21 MR. NELSON: Thor Nelson with Holland &
22 Hart for Colorado Energy Consumers.

23 MR. HANSEN: Chris Hansen. I only
24 represent myself.

25 MR. WOLFSON: Morey Wolfson, Governor's

1 Energy Office.

2 MR. HYDOCK: Mike Hydock, advisory staff.

3 MR. SULLIVAN: Brian Sullivan, SolarCity.

4 MR. BROLIS: Ericks Brolis, Namaste and
5 the Solar Energy Association.

6 MR. DAVIDSON: Mark Davidson,
7 representing CF&I and Climax.

8 MR. MELAMED: Paul Melamed with Vision
9 Sun Design and CoSEIA.

10 CHAIRMAN BINZ: Thank you all for being
11 here. Just to catch up everybody, we opened this
12 docket this fall for purposes of investigating what
13 will be known as, "Customer Incentives"; that means
14 rate structures that -- sort of the pricing structure
15 and other incentives that customers face. This is in
16 contrast to another docket, which we spent a fair
17 amount of time on, called the, "Utility Incentives
18 Docket."

19 We circulated questions at the time that
20 we opened this docket, and a number of parties have
21 responded in writing to those original questions. The
22 way we view this docket, you're welcome to fire at will
23 in terms of filing comments, so if you missed what was
24 the first suggested deadline for filing comments, you
25 are still able to do that and including replies to what

1 other people have filed. All the comments are on the
2 PUC's Website.

3 We then issued another order, setting out
4 sort of the structure for discussion that we are going
5 to try and use today. And in a few minutes, Jeff
6 Ackermann will walk us through that.

7 The objective, it's fair to say today, is
8 for you to tell the Commission what we should be
9 thinking about as we approach the issues that are the
10 five issues that we have selected and identified as
11 policy areas. I think you all have, or at least could
12 have an opportunity to see a sheet here that lists
13 those five questions. Again, I will let Jeff give the
14 details on that. But the object today is less about
15 the pros and cons of this or that, although that will
16 inevitably find its way into every conversation, it's
17 less about that than to tell this Commission what we
18 should be thinking about, what we should balance, when
19 we decide whether to plunge into an adoption of
20 time-of-use rates or whether we plunge into inverted
21 block rates, or an attempt to address the question
22 raised by the farmers and ranchers in the San Luis
23 Valley with respect to their solar installations, all
24 of that. So, again, use this opportunity to give us
25 good counsel on what we ought to do when we eventually

1 make a decision in a docket where we can make a
2 decision. That's something else you should understand.

3 The way this docket is structured, it's a
4 so-called "investigatory docket." And under the law,
5 we have not notified the public that we may be making
6 these changes in this docket, because we're not going
7 to. The changes to rate structures will be made in the
8 appropriate dockets, whether it's a filing by the
9 utility, or a motion of the Commission itself, and in a
10 formalized docket. Whatever the forum is, for the
11 eventual decision, that's where it will be made. So,
12 that's why it's going to you, to basically make sure
13 we're oriented correctly with respect to these issues.

14 Anything from my colleagues about sort of
15 how this docket fits into the world?

16 COMMISSIONER TARPEY: No, that's fine.

17 CHAIRMAN BINZ: Okay.

18 COMMISSIONER TARPEY: There are some
19 additional people here.

20 CHAIRMAN BINZ: We went around and did
21 introductions. Would you -- we're not going to do it
22 again for your sake. We would like to know who you
23 are.

24 MR. GELLER: Howard Geller from the
25 Southwest Energy Efficiency Project.

1 CHAIRMAN BINZ: Who else just walked in?

2 MR. BOWMAN: Eric Bowman with the Akeena
3 Solar.

4 MS. PODEIN: Sharon Podein, staff of the
5 Commission.

6 MR. BERGMAN: Bob Bergman, staff.

7 MS. SANTOS-RACH: Geri Santos-Rach, staff
8 of the Commission.

9 CHAIRMAN BINZ: Now, the other thing I
10 want to point out today is that in preparing for
11 today's workshop, we became aware of the availability
12 of Jim Lazar, who works with the nonprofit Regulatory
13 Assistance Project. In the main, people at RAP are
14 former Commissioners, David Moskovitz, Richard Cowart,
15 Wayne Shirley, from all over the country. And Jim can
16 tell you more about this off-line, but essentially it's
17 a nonprofit group, based in Boston and in Augusta.

18 MR. LAZAR: Vermont is home.

19 CHAIRMAN BINZ: Different places,
20 depending on who is in charge at the time, where they
21 live.

22 MR. LAZAR: Yeah. Good.

23 CHAIRMAN BINZ: They provide a lot of
24 assistance to NARUC in terms of advice on energy
25 efficiency. That's their main focus. Jim is someone I

1 have known for 30 years. He and I have filed testimony
2 as experts in a bunch of different cases, but we had
3 never met each other. We show up on different days to
4 testify, or whatever. And Jim is going to talk about
5 the first issue today, the tiered inverted block rate
6 design.

7 I don't want his presence -- we don't
8 want his presence to indicate anything particular,
9 except that we had a cheap date, okay? We had somebody
10 who was going to come in and who knows a lot about the
11 stuff that he's going to talk about it. So, Jim is not
12 indicating this Commission's view necessarily. But he
13 is going to tell us what he knows, from his experience,
14 about tiered rates. And we're very pleased to have him
15 here today.

16 I happen to remember when Thor Nelson
17 asked us, in another docket, namely the utility
18 incentives docket, whether it was appropriate to come
19 in and make a presentation to the group. And we kind
20 of dissuaded you from doing that, if I remember
21 correctly, Thor; is that fair?

22 MR. NELSON: Yes.

23 CHAIRMAN BINZ: Yes. Okay.

24 COMMISSIONER TARPEY: And we still do.

25 CHAIRMAN BINZ: I think it's possible,

1 although I am not committing to this, we may relax that
2 rule. We actually did do something a little bit
3 different in this docket as compared to the other one.
4 We're finding ourselves with a new process here, these
5 investigatory dockets, and workshops like this are a
6 little different twist for us.

7 We also have, as all of you probably
8 know, the opportunity for you to make ex parte
9 presentations to the Commissioners in their offices, or
10 wherever, which you must disclose, but you can actually
11 come and do your presentation there as well. And at
12 the time that was -- I think the answer we gave Thor,
13 you can do it ex parte; and, in fact, you have availed
14 yourself of that, Thor.

15 MR. NELSON: (Witness nodding in the
16 affirmative.)

17 CHAIRMAN BINZ: I wanted to also note,
18 we're breaking our own, quote, unquote, rule, by
19 getting Jim Lazar here. I think we have had other
20 offers from other people in the room to do
21 presentations here. We may take you up here, as we see
22 how this project unfolds. Any questions about process
23 or what we are going to do today? Jeff, you want to
24 take it over for a while.

25 MR. ACKERMANN: If I can, I will just

1 stand, pick up on the Chairman's comments about the
2 general process. I think my task is sort of trying to
3 explain to you how we're moving this 8I docket, this
4 investigatory docket along, so that you understand why
5 we're here today, and how this workshop fits into that
6 larger process.

7 As the Chairman spoke to you, this is an
8 investigatory docket. It has a different focus, a
9 different set of outcomes versus that there be a final
10 deliberation at the end, and a policy decision made.
11 So, in that context, as an I docket, we envision, as
12 the Chairman spoke to you about at the end of the day,
13 this sets up a record, sets up background information,
14 so that we can move into some other proceeding, where
15 the Commission, then, can act as is appropriate to move
16 forward implementing one of these policies we're
17 talking about.

18 So, what the staff has done, that's
19 working on this docket, is looked at the responses from
20 the public to those 16 questions that went out with the
21 first order. And out of those -- the responses to
22 those 16 questions, what the staff did is decided,
23 okay, we're basically doing a refinement process here.
24 We're going from a very broad statement that the
25 Commissioners put out in that first order, a statement

1 that said something to the effect that, how do we
2 influence consumer -- embrace and impact consumer
3 action via the rates and regulatory structures. That
4 was the umbrella we're looking at. This all dates back
5 to the history and funnel concept. We start with a
6 broad concept/statement of desires, and at the end of
7 the day, it should be something that makes it worth
8 reading.

9 What we are trying to do here, to go from
10 that broad statement, that we saw what came in from
11 those comments and what came into the record so far
12 identified five discrete policy areas. That's what you
13 saw in that second order. We identified what those
14 five areas are. They are the headings in the handout
15 that you have here in front of you. Then accepted from
16 there, as a refined process, what was put in front of
17 you. And what was in that document there is saying, if
18 the Commission was to pursue some particular policy,
19 and any or all of those five, what questions should
20 guide that Commission process, what should the
21 Commissioners ask themselves, or ask the proceeding,
22 and what criteria should they take into consideration
23 when they are pursuing that policy.

24 so, what you have in front you is purely
25 a first draft of an attempt to layout that framework

1 that says, if the Commission was going to pursue,
2 whether it's tiered rates or low-income assistance
3 through rate designs, or any of the others there, this
4 is what emerges so far, as the sense of what the
5 criteria should be that they should consider, the
6 questions that they should be asking themselves or
7 asking in that proceeding. It's not meant to be
8 exhaustive. It's meant to be a start.

9 It was not meant for folks to necessarily
10 feel they have to answer those questions, whether in
11 comments or today, but to answer the question, are
12 these the right questions or are there other questions
13 to add or questions to subtract. Are there other
14 criteria that should be considered.

15 So, that's really what we're trying to do
16 today, is to put those criteria or questions in front
17 of you, as participants, and get your feedback on that.
18 That continues to help us refine this down. And, then,
19 coming in behind that as well, there's a record
20 developing here, as different parties have submitted
21 research papers, resource papers, and the like, that is
22 now building the record behind the particular areas we
23 asked you to look at, what other filings are there, and
24 then add, subtract, comment on that, because that is
25 helping to fill out the record as well, as it relates

1 to each of these policy areas.

2 So, that is how the refinement process is
3 going. Our hope today is, then, to walk through each
4 of those five areas today, and get everyone's responses
5 to those questions and criteria, starting with inverted
6 or tiered block rate design. That was the one at the
7 front of the page, for a couple of reasons, primarily
8 because it's the area the most comments came back
9 about. That works out well. That's also one of Jim's
10 many areas of expertise.

11 So, what we are really looking for, and
12 then what Jim will help us here with, in just a moment,
13 is how to look at and get a little bit of frame around
14 that concept of tiered or inverted block rate design,
15 looking at it from what has the practice been in the
16 region, if not in the country, looking at what others
17 learned from that experience, from regulators around
18 the country.

19 Then, from there, the kind of pros and
20 cons, and at the end of Jim's presentation, spill into
21 a discussion of both what he presented and what's on
22 the page in front of you, having to do with our first
23 cut of questions or criteria. So, with that, I think,
24 we'll turn it over to you.

25 MR. LAZAR: All right. I'm Jim Lazar. I

1 am an economist. I live in Olympia, Washington. The
2 Regulatory Assistance Project is determined, as the
3 Chairman indicated, is a nonprofit organization. Our
4 main headquarters is in Montpelier, Vermont, but we
5 have principals in Vermont, Maine, New Mexico and
6 California. And, then, there are a group of us senior
7 advisors, myself and Peter Bradford. Peter is a former
8 Commissioner, and I'm an economist with, I guess, 34
9 years of involvement in utility rate design.

10 What I am going to talk about is sort of
11 the history, theory and practice of inverted
12 residential rates. I am not going to talk about
13 commercial rate design, except to use one as an
14 example. And I am not going to -- there are copies of
15 the slides, and also, a sheet of the examples as far as
16 rate designs.

17 I'm also not going to talk about
18 time-of-use, although that's the next item on your
19 agenda. That's something I have done a great deal of
20 work on.

21 RAP started the New England Demand
22 Response Initiative, a project that went on for several
23 years, sponsored by the six New England states and the
24 New England ISO. And we also -- I was a staff person,
25 on the pricing and metering committee, also the

1 intermediary, and we did a pretty substantial report on
2 rate designs that would assist with the system's
3 demand-response efforts, and much of what you will see
4 is work that we researched in the process of doing that
5 demand-response project.

6 I am going to talk about the history of
7 inverted rates in the west. So, some of the cost basis
8 for electric inverted rates, the cost basis for
9 gas-inverted rates, some of the expected benefits, some
10 key design elements, if you were to design inverted
11 residential rates. And, then, some of the workings and
12 purposes that come along with any change in rate
13 design, in this case dealing with utility revenue
14 stability issues and customer bill stability issues,
15 which are certainly not to be ignored in the regulatory
16 process.

17 The first inverted rates that I knew of,
18 in the west, were Puget Sound Energy, or then Puget
19 Sound Power and Light, and Washington Water Power
20 created inverted block rates, and in about 1975. And
21 those were based on a recognition, those companies that
22 had a lot of electric heating load, on a recognition
23 that the high-use customers, the electric heat
24 customers, had a much inferior load factor compared
25 with those customers that heated with oil or gas and

1 had smaller electric usage. That's just because their
2 usage spiked up in the winter. Those are
3 winter-peaking utilities. Also, that space heating
4 usage was the principal cause of the peak. And most of
5 the year, that space heating load wasn't there.

6 The Washington utility, at this point in
7 time, Transportation Commission, held a two-year long
8 hearing process, that culminated with a decision, in
9 1980, to require all of the investor-owned utilities in
10 Washington to adopt what they call, "base-line rates,"
11 which were an embedded cost approach, to invert the
12 rates, that recognized that each of the utilities had a
13 limited amount of low-cost hydroelectric power on their
14 system.

15 Seattle, the City of Seattle, which
16 followed, then, in 1982, as part of their hearings on
17 rate design, required by the Public Utilities
18 Regulatory Policy Act, Oregon and Idaho followed
19 shortly after that. The State of Arizona adopted
20 inverted rates, but only in the summer. They are
21 strongly a summer-peaking utility, and I will show that
22 rate design in a moment.

23 California implemented its inverted rate
24 design, I think, in the 1980s, at least by the time I
25 was following rate design, they were already in place.

1 But during the 2000-2001 crisis, they had moved to a
2 very steeply inverted five block rate design, that, in
3 the case of Pacific Gas and Electric, the last block
4 reaches about 40 cents a kilowatt-hour.

5 The Bonneville Power Administration first
6 considered wholesale inverted rates, not residential,
7 but first considered them in 1974. Earlier this year,
8 the administrator adopted a tiered rate method, to be
9 effective in 2012, so that's a 38-year regulatory
10 process. I have some confidence this Commission will
11 be more decisive than that, one way or the other.

12 And finally, I won't talk a lot about
13 gas-inverted rates, but to my knowledge, the California
14 gas utilities have inverted gas rates, and to my
15 knowledge, all of the gas utilities in California do
16 have inverted rates, including the municipal gas
17 utilities like Palo Alto and Long Beach, but along with
18 the investor-owned utilities. They just started with a
19 simple form of a couple of kinds of inverted rates, and
20 we have passed around an example sheet, with rates from
21 all over the west. But Pacific Power -- the Washington
22 rates is not seasonalized. It's a \$6 customer charge,
23 the first 600 kilowatt-hours for a nickel, and
24 everything above that for about 8 cents. Pacific has a
25 dual peak winter peak caused by electric heat, with a

1 summer peak caused by irrigation customers. And they
2 apply this rate design year-around.

3 Arizona Public Service has a different
4 rate design of \$7 1/2 customer charge, first 400
5 kilowatt-hours for 8 1/2 cents, in the summer. Next
6 400, in the summer, for 12 cents. Everything above 800
7 for 14 1/2 cents. But in the winter, it's a flat rate
8 of 8.3 cents. It's a strongly summer-peaking utility,
9 not capacity constrained in the wintertime. So, those
10 are a couple of examples, when we use the term,
11 "inverted rates," these are the kinds of rate designs
12 that I'm referring to.

13 So, I want to turn to the cost basis of
14 electric inverted rates, and there are a couple of
15 different approaches that are used to calculate
16 cost-based inverted rates. The first are what I call,
17 "load factor based." Different end-uses for
18 electricity have different load factors, that is
19 different peak intensity of the loads, lights and
20 appliances, refrigerator, cooking lights, your alarm
21 clock, your television, your TIVO, your cell phone
22 charger, all of those kinds of end-uses have a pretty
23 high load factor. Most of us leave our frig on all
24 night long. Some of us get very frustrated when it
25 hasn't been on for a while. It's a little different

1 than other things, but most of the load research that I
2 have reviewed shows that lights and appliances have
3 something in the neighborhood of 70% annual load
4 factor. When I am using, "load factor," I would be
5 talking about an annual load factor; that is the ratio
6 of average use throughout the year, of an end-use, for
7 the peak demand, for the peak time of year, for that
8 end-use.

9 Electric water heat has a kind of medium
10 load factor. It gets used all year-round, but it tends
11 to be concentrated in the morning hours, in the early
12 evening hours. That is when we're getting up and
13 getting started and when we are going home and cooking
14 dinner and doing laundry, that sort of thing.

15 For electric utilities, which measure
16 load factor in a 25 minutes or one hour or the even
17 instantaneous basis, for electric utilities, peak is a
18 very short period. For example, space heat has an
19 imputed 40% load factor. And under space condition,
20 whether it's space heating, or some utilities that have
21 electric heat loads or space cooling, where people have
22 air-conditioning, it is very concentrated into the peak
23 period. It is the cause of the peaks, the principal
24 cause of the peak, the principal cause of load.

25 And I'm generalizing, but most studies

1 show that electric space heat and electric air
2 conditioning have about 20% annual load factor. A
3 lower load factor means a higher price, if you
4 calculate rates as I'll show in just a minute.

5 The other approach that is used is
6 resource cost based. Different resources have
7 different costs. And this is where the Washington
8 Commission began, was saying we have a limited amount
9 of hydro and unlimited amount of expensive new stuff,
10 so, we're going to price the cheap hydro cheap and the
11 expensive new stuff expensive.

12 And an example here, what I put here is
13 older base-load plants may have an all-in cost of 4
14 cents a kilowatt-hour. Newer base-load plants may have
15 an all-in cost, that is, and operating, of 8 cents a
16 kilowatt-hour. And a peaker may have an all-in cost of
17 12 cents a kilowatt-hour. And, of course, one can
18 create rate blocks in the price of those resources on
19 the basis of cost.

20 Also, I want to stay technical for just a
21 minute on how demand-related costs per kilowatt-hour
22 increase the low load factor end-uses. I am going to
23 make a historic assumption for the transmission and
24 distribution demand-related costs, and of an electric
25 utility, on an annual basis, of \$87.60 a year. That's

1 the right order of magnitude for most utilities,
2 between 30 and 100. It happens to be an annual that
3 exactly divides by the number of hours in a year to
4 make the math work. And 100% low factor load has
5 demand costs of a penny a kilowatt-hour. A 40% low
6 factor load, like a water heater, has demand costs of 2
7 1/2 cents a kilowatt-hour. A 20% low factor load, an
8 air conditioner, has demand costs of 5 cents a
9 kilowatt-hour. And the extreme year, of one in 10 or
10 one in 5 years, the extreme year, additional
11 air-conditioning load, when none of us can stand to be
12 without our air conditioner, may be a 10% load factor
13 on that extreme peak and 10 cents a kilowatt-hour. And
14 that's just kind of an example for a caricature of the
15 process.

16 I actually took Xcel Energy's commercial
17 SG rate, which has a summer rate, in round numbers, of
18 \$10 a kilowatt and 4 cents a kilowatt-hour, and turned
19 it into three block rates, assuming that 0 to 400
20 kilowatt-hours would meet people's lights and appliance
21 needs, which has a 70% load factor; that residential
22 customers intermediate loads would be in the 400 to 800
23 block at a 40% load factor; and their air-conditioning
24 load -- this is the summer rate -- the air conditioning
25 load would fall in the over 800 block, 20% load factor.

1 And when I went through the math that I just showed,
2 with the actual Xcel Energy rate, I did ignore all of
3 the riders and surcharges and adjustments. I just took
4 the two simplest rate elements. But I came up with
5 three block rates of 5.75 cents, 7.18 cents and 10 1/2
6 cents.

7 Now, the end-uses and usage blocks don't
8 match up perfectly. And, so, there is a fair amount of
9 judgement that goes into designing a cost-based rate,
10 and, hopefully, based on a fair amount of analysis of
11 customer loads.

12 Now, I would turn to cost-based basis for
13 gas-inverted rates. Gas is a little simpler. The
14 whole industry is a little simpler. But, gas water
15 heat is a very high load factor load. Now, why is it
16 different than the electric water heat? Because gas
17 utilities measure peak by the day, and electric
18 utilities measure peak by the hour or by the 15-minute
19 interval.

20 And, so, the gas water heat use still
21 peaks in the morning and the evenings, but the gas
22 company just increases the pressure in the pipe at
23 night, catches up. Also, electric utilities don't have
24 an easy way to store their product.

25 So, from a gas utility perspective, water

1 heat is a very high low factor load and space heat is
2 about the same as for electric, concentrated into the
3 winter peaks on the coldest day of the year, very low
4 load factor load. And, so, a load factor based gas
5 rate design would have, you know, 20 or 30 therms a
6 month in the lower block to cover the gas water heat,
7 cooking, clothes drying, sort of the year-round uses.
8 And then it would step up to a higher rate to cover the
9 lower load factor of the gas space heat.

10 But you can also approach gas inverted
11 block rates on the basis of the resource cost. Flowing
12 pipeline gas that the gas utilities receives,
13 year-round, is the cheapest, and serves base-load
14 needs. The storage gas that they put into storage in
15 the summer and take out in the winter is more expensive
16 and serves sort of normal year space heating needs.
17 And, then, the liquefied natural gas or interruptible
18 service, some of these peaking resources that gas
19 utilities rely on for only a few days a year, sometimes
20 not only even every year, are the most expensive. And
21 they serve sort of the extreme-year space heating load.
22 So, it's a resource cost approach to building a two or
23 three block gas inverted rate.

24 There are a number of system-counted
25 benefits of tiered rates. Economists, and I am one,

1 often start with, it does a better job aligning
2 marginal rates with long-run marginal costs. And in
3 most utilities, the cost of building new power plants,
4 new transmission and new distribution exceeds what's in
5 the rates for what's already built. And tiered rates
6 allow you to at least align the marginal rate that
7 people pay for their marginal usage with those long-run
8 costs. It also allows the reflection of marginal
9 carbon dioxide costs in the marginal rates, even though
10 those costs may not be part of the revenue requirement.
11 And that's becoming a matter of increasing importance
12 in parts of the world, monetized CO₂, and they may
13 become more important in Colorado.

14 It does tend to -- a system expected
15 benefit is promoting an efficient fuel choice,
16 encouraging customers to use the right fuel for the
17 right end-use, because the incremental cost of both
18 gets priced closer to the long-run marginal cost of
19 different fuels.

20 Then, finally, there's the load reduction
21 that comes out of this. First of all, there's an
22 elasticity effect by pricing the marginal -- the
23 incremental usages at a higher price, so customers will
24 use less. Some of that is curtailment, that is the
25 people just choose to not use so much energy and leave

1 the thermostat at a different setting, take shorter
2 showers; and some of it is conservation, that is people
3 choosing to buy more efficient air conditioners or
4 install a low-flow high performance shower head.

5 An important element of that is that at a
6 higher rate block, that is the endblock price for
7 incremental usage, tends to make energy efficiency
8 investments look more cost-effective to consumers, and
9 encourages consumers to be more enthusiastic about
10 participating in utility conservation demand-side
11 management programs.

12 We did study inverted rates as a
13 demand-response measure for New England. And space
14 conditioning, either heating or cooling, is a very peak
15 expensive use. Inverted rates do price incremental
16 space conditioning at a higher rate than other uses.
17 And in so doing, it allows people to constrain their
18 use -- the very end-use that in those systems is the
19 most obvious contributor to the increase in demand at
20 the time of peak.

21 The advantage of having inverted rates
22 over more complex rate designs is that no new metering
23 is required. The largest time-of-use public service
24 pilot in the country, on Puget Sound Energy, the
25 evaluation shows that the incremental metering and

1 billing costs were not cost-effective for the average
2 residential customer. For the larger customers,
3 absolutely. But for the smaller customers, the final
4 evaluation of that project showed that the incremental
5 system meters and billing costs were about a \$1 a month
6 and average savings was less than half of that, to the
7 consumers, from the shifting that they did in response
8 to time-of-use. Inverted rates don't require any new
9 meters, so there is almost no cost to implementing
10 them.

11 And the New England demand-response
12 initiative did recognize inverted rates as a
13 residential demand response measure. Those utilities
14 that implement them can claim a demand-response trend
15 for that, in the pricing system that they use in New
16 England for demand response.

17 I read all of comments that were
18 received, at least through last Wednesday, in this
19 docket, on tiered rates, and I think actually, almost
20 everybody had a pretty good understanding of some of
21 the elements, key elements. First thing, it's
22 important to keep the first block fairly small, so that
23 most customers make their decisions based upon the
24 second block or the second and third blocks, so very
25 few customers and very, very small part of usage

1 actually sees the lower first rate as their marginal
2 rate. That way very few people have an incentive to
3 consume more and typically their consumption is less
4 than 5 or 10% of the total consumption. 90% of the
5 consumption is by people who use more than, say, 400
6 kilowatt-hours. And, so, 90% of the consumption sees
7 an incentive to consume less and 10% or less see an
8 incentive to consume more. In three block rate
9 designs, I think it's important to target the third
10 block to space conditioning, in case of a summer only
11 inverted rate for air-conditioning. And that's, you
12 know, you have to do your own analysis here but
13 typically that is somewhere in the 800 to 1200
14 kilowatt-hours a month range.

15 You can undo the effect of a tiered rate
16 by having a very high customer charge. You can --
17 combined with the system's effect of the rate being not
18 really inverted, the average price doesn't go down as
19 usage increases. Most advocates recommend limiting the
20 customer charge to the metering and billing costs. And
21 if you look at the example rates that I put together
22 from all over the west, almost every one of the western
23 states has done that with a customer charge.
24 California is, you know, zero to a buck. But almost
25 everybody else is sort of in the \$5 plus or minus

1 range, which is pretty typical of metering and billing
2 cost.

3 And the final thing that was raised here,
4 is I think it's important to combine all of the rate
5 riders and surcharges into an understandable rate
6 design on the bill that the customer sees. That's not
7 to say that the calculation of the right rate shouldn't
8 be built out of building blocks that those surcharges
9 and riders comprise, but the customer eventually needs
10 to see, if I use less electricity, how much will my
11 bill go down. If I use more electricity, how much will
12 my bill go up. That's the sum of all of the rate
13 components. Customers need to know what they are going
14 to save if they reduce usage.

15 Now, I get to the sort of workings and
16 purposes. First of all, from the utility's
17 perspective, dealing with revenue stability, inverted
18 rates unambiguously increase the annual revenue
19 volatility for the utility, principally due to weather
20 but also due to other factors. A utility's investment
21 in generating plants, in transmission and distribution,
22 have a demand component based upon the expected peak
23 demand. We want them to invest enough to be able to
24 reliably meet that peak when it occurs. But in a cool
25 summer, an inverted rate causes pretty significant

1 attrition in revenue. On the other hand, an extreme
2 summer causes a pretty significant addition of revenue.
3 That volatility has to be managed.

4 The traditional way of managing that for
5 utilities is to let their retained earnings go up and
6 down. In big sales years, they make a lot of money and
7 the retained earnings go up, and in weak sales years,
8 they don't make as much money. They still pay their
9 dividends, and retained earnings go down. But, to to
10 the extent that inverted rates accentuate that, you can
11 create a situation where the utility's equity ratio
12 drops below sort of the ranges that the rating agencies
13 like to see. That can cause their cost borrowing to
14 increase, which causes rates to go up in the long-run.

15 There's three different ways that are
16 typically used to normalize that. One is a weather
17 normalization reserve account. The City of Seattle
18 uses, in wet years, they put money in the bank, and dry
19 years they draw it back out, in order to keep their
20 financial health.

21 For most -- for a large, large number of
22 investor-owned utilities, particularly gas utilities,
23 commissions have adopted weather normalization
24 mechanisms that, in low sales years, due to weather,
25 allow small surcharges. And in high sales years,

1 impose small rebates, that track the weather in
2 real-time. That is, with every month, the utility can
3 be either surcharging or rebating a little bit based
4 upon the weather that's experienced that month.

5 And finally, something that RAP has
6 worked a great deal on, all over the country, are
7 decoupling mechanisms that take all variations, and in
8 sales, due to weather, due to conservation, due to
9 recycle variation, into account and also make the
10 utility whole for any -- some defined category of the
11 costs that don't vary with sales volumes.

12 And we can talk for days about
13 decoupling, but it's an option for dealing with revenue
14 stability for the utility. You can't ignore the
15 revenue stability issue for the utility if you move to
16 inverted rates.

17 Finally, there's the flip side of that.
18 Just as inverted rates increase the revenue volatility
19 for the utility, they also increase the bill volatility
20 for the consumer. They cause larger variations,
21 particularly due to weather. Most low-income
22 households will benefit from inverted rates, because
23 most low-income households use less than an average
24 amount of electricity or gas. But there are a few that
25 are high use low-income households. Some have very

1 large families. Some are extended families. Most are
2 inefficient households. Well, the inefficient
3 households can be dealt with programmatically through
4 energy efficiency programs, but one does need to study
5 how inverted rates will affect specific customers.

6 The easiest way to deal with the bill
7 volatility for the customer is budget billing. Almost
8 every utility has a budget billing plan. As I
9 understand, Xcel has a single settlement month, and it
10 looks to me, from reading the tariff, as though the
11 balance could be quite hefty. It may be necessary to
12 modify that single settlement month to spread budget
13 incomes over more than a one-month period of time, to
14 help the customer with bill volatility. Or if there's
15 just a, for any customer, even, not only budget
16 billing, one approach is to use a multi-month payoff
17 period in the high use season, so the entire bill isn't
18 due all at once. There are a number of ways of dealing
19 with that bill volatility as. Just as you have to
20 recognize and deal with the revenue stability issue for
21 the utility, you can't ignore the bill volatility issue
22 for the consumer.

23 I'll just summarize by saying that
24 inverted rates are applied to most residential electric
25 consumers in the west. Most of the states have

1 inverted rates and California has half the people in
2 the west, so, all of their regulated utilities, most of
3 their consumer-owned utilities have inverted rates.

4 They are cost-based for both electric and
5 gas utilities. The degree of inversion would depend
6 upon the resource mix and marginal costs and load
7 factors on your own utility. The energy savings can be
8 predicted through elasticity models. But you need to
9 recognize that those savings are split between the
10 curtailment, people just using less and foregoing the
11 utility that that energy consumption brought them; and
12 conservation, people figuring out ways to achieve the
13 same end-uses with less energy. You have got to deal
14 with the revenue volatility and the bill volatility
15 issues.

16 And the last I think is probably the most
17 important. And if you take a look at the actual
18 tariff, for the Southern California Edison rates, you
19 will see a -- I didn't put the whole tariff there --
20 but make sure consumers can understand their rates,
21 when you're all done. The Southern Cal Edison rate is
22 entirely incomprehensible. It changes daily, but you
23 don't find out what it was until after the fact.

24 I would leave it at that, and turn your
25 discussion back over to the Chairman, or the chair.

1 CHAIRMAN BINZ: Thank you, Jim. Thanks.
2 I would like to, as in our other workshops, do sort of
3 a round robin. Anybody can speak up, at any point. I
4 will recognize you, as Chair. You can respond to
5 anything you heard from Jim, or comment on it, support
6 or oppose it.

7 We also, again, I want to remind you, as
8 Jeff said, we want to make sure you tell us what kinds
9 of things -- and maybe the weight of those kind of
10 things we should put into our decision on this issue.
11 So, we're going to stick with inverted rates for the
12 next 20 minutes or so, see what kind of discussion
13 there is in the room.

14 I noticed one thing -- I am going to sort
15 of maybe trigger Scott to be involved in this -- but we
16 asked questions about whether inverted block rates
17 could be cost-based. And we got one answer that said
18 no, and another answer said, absolutely, yes. So, I
19 think there's probably some room for discussion on that
20 question. Who wants to break the ice?

21 MS. CONNELLY: Can I ask some questions
22 of Jim?

23 CHAIRMAN BINZ: Sure.

24 MS. CONNELLY: I have two questions based
25 on your --

1 MR. LAZAR: Yes.

2 MS. CONNELLY: Why does it make a
3 difference, whether the -- you say "curtailment" versus
4 "conservation," because it's a reduction either way,
5 right?

6 MR. LAZAR: It probably is --

7 MS. CONNELLY: Why are you distinguishing
8 between those two concepts?

9 MR. LAZAR: I distinguish between them
10 because people have two different responses to higher
11 costs. One is to do without, and the other, if it were
12 a long-run response, to figure out a better way of
13 accomplishing the same thing.

14 There is a welfare loss associated with
15 doing without. People, they are used to keeping their
16 thermostat at 72, and because your air conditioning
17 bill is too high, you crank it up to 78, you are giving
18 something up. That's curtailment. If you insulate
19 your building with new windows, or buy a more efficient
20 air conditioner, and can keep it at 72 with the same
21 energy consumption -- with the same energy bill, and
22 lower the energy consumption, you're -- that's
23 conservation.

24 I just like to distinguish between them
25 because they are not exactly the same response, from

1 the utility resource planning perspective. The
2 conservation response actually, figuring out a
3 different way to accomplish the task, is a more certain
4 and more permanent reduction. When people get laid off
5 from their job, or their 401K starts looking like a
6 104K, they may turn down the thermostat to save money,
7 in the short run, but when the margin goes back up or
8 they get a new job, that demand can come back very
9 quickly, whereas if we can get them to invest in a more
10 efficient building, or more efficient heating system,
11 that load isn't going to spring back on the utility.

12 From a resource-planning perspective,
13 conservation is a long-term response. Curtailment may
14 be a short-term response that doesn't provide certainty
15 to the utility.

16 MS. CONNELLY: And may I follow-up?

17 CHAIRMAN BINZ: Sure.

18 MS. CONNELLY: Okay. So, if you have a
19 welfare loss with your curtailment, does that suggest
20 that you haven't set the rates at the economically
21 efficient point, because you've induced that
22 curtailment and also can suffer the welfare loss?

23 MR. LAZAR: No. The customer has
24 curtailed because the, you know, if the price has gone
25 from 10 cents a kilowatt-hour to 15 cents, then they

1 curtail in response to that. What they are saying,
2 it's not worth 15 cents a kilowatt-hour for me to keep
3 the thermostat on that temperature. I would rarely
4 spend that money on a new plasmatron. I would get more
5 satisfaction out of a new TV.

6 It also, you know, the customer has
7 chosen something that's worth --

8 MS. CONNELLY: More to them?

9 MR. LAZAR: More than 10 cents, but less
10 than 15 cents to them. They took their next best
11 option of how to spend their money.

12 MS. CONNELLY: Just -- my final question,
13 you had two ways that you were setting blocks. One was
14 on a resource cost base, one was on the load factor
15 base.

16 MR. LAZAR: Yes.

17 MS. CONNELLY: Do any utilities use that
18 load factor base method that you are aware of?

19 MR. LAZAR: Yes.

20 MS. CONNELLY: Who would be an example of
21 that?

22 MR. LAZAR: Well, the -- in the last --
23 Puget uses both. Manitoba Hydro uses both.
24 California, near as I can tell, uses magic, or
25 philosophy, or religion, or it doesn't appear to be

1 mathematics.

2 The Oregon rates are -- and Idaho rates
3 are derived from load factor research, but there is
4 such judgement that goes into setting rates. I mean,
5 typically, rate design is the very last thing in the
6 rate case, and everybody has been through, you know,
7 rate base and cost of capital and operating expenses.
8 And often Commissions are up against a regulatory
9 deadline to put something out. And the mechanics that
10 are pretty rigid in setting revenue requirement are not
11 always as rigid in setting rate design. They are sort
12 a sort of understanding only of principles and
13 application of judgement.

14 MS. CONNELLY: Thank you.

15 CHAIRMAN BINZ: Thanks, Paula. Thanks.

16 MR. FULCH: Matt Fulch, Governor's Energy
17 Office. Two-part question. One, in your experience
18 throughout the territories you have studied, how much
19 of the public utilities are embracing rate design --
20 for this particular rate design?

21 MR. LAZAR: Sorry.

22 MR. FULCH: How much of public utility
23 nonregulated utilities are embracing this rate design?

24 The second part of the question, for the
25 ones that are embracing it, how much do they consider

1 this a dependable part of their strategic planning for
2 resource planning?

3 MR. LAZAR: Inverted rates are more
4 common among regulated utilities than among
5 self-regulated utilities. There are some very
6 important exceptions. First of all, nearly all of the
7 publicly-owned utilities in California have inverted
8 rates. The City of Seattle, the largest public utility
9 in the northwest, has inverted rates. Some of the
10 hydro-rich utilities, Chelan County PUD, very large
11 hydroproducer does, but I would think it's a safe
12 statement that a majority of small municipal and co-op
13 utilities do not. But in terms of the majority of the
14 customers, you know, majority of the population of the
15 west, overwhelming --

16 MR. FULCH: Sure.

17 MR. LAZAR: The overwhelming majority
18 served by utilities were inverted rates. Los Angeles
19 Department of Water and Power just adopted its first
20 inverted rate, effective October of this year, the
21 largest public utility in the country. That's
22 brand-new.

23 MR. GELLER: Jim, do we have much
24 information on the effects of moving to tiered
25 rates/inverted block rates? And also, what level of

1 spread do we need to really see an impact, in terms of
2 stimulating either conservation or curtailment amongst
3 the customers that are, you know, in the higher blocks
4 in the margin?

5 MR. LAZAR: There were some studies that
6 I saw that were done a while ago, 10 and 15 years ago,
7 that compared utilities, in a general physical area,
8 that did and didn't have inverted rates, and what had
9 happened to their usage per customer over time. We did
10 one in the Pacific northwest in about 1988, or so.
11 There was one even done by the legislature in 1982 in
12 Oregon. I haven't seen any newer ones than that.

13 You know, those studies showed that the
14 utilities with inverted rates had lower use per
15 customer and slower growth in use per customer or
16 faster shrinkage in use per customer than the utilities
17 that had flat or declining block rates. But the
18 studies I have seen are old enough that I don't
19 really -- if there is a newer one, I would love to see
20 it. Please tell me. And if there is not, it's
21 probably something that we in the economics profession
22 need to think about working on.

23 MR. GELLER: How about the second part of
24 my question? What level of spread is enough to have an
25 impact? We have a big range here amongst the

1 utilities.

2 MR. LAZAR: You know, my own feeling, it
3 needs to be steep enough, of course, that customers
4 notice it. You know, when gasoline got to \$4 and
5 change a gallon, people noticed but when it drops to a
6 \$1.79 to a \$1.81, people wait until the tank is about a
7 quarter full, and then fill up. They don't plan their
8 gasoline purchases as much as we did when gas was over
9 \$4.

10 I do think that, you know, some of the
11 rate designs that have only a, you know, 5 or 10%
12 differential is probably not worth, you know, the
13 trade-off between economic efficiency and precision and
14 confusion. And in my opinion, rate design that has
15 only a small inversion isn't worth the confusion.

16 CHAIRMAN BINZ: Yes.

17 MR. GRAY: Charlie Gray with Black Hills
18 Energy. So, are you saying that differential should be
19 cost-based or big enough to get a response, and
20 sometimes those two aren't the same?

21 MR. LAZAR: I agree. I think that the
22 differential should be cost-based, all right? But if
23 that cost basis shows that only a 3/10th of a cent
24 differential is justified, I don't think that's worth
25 the bother. But I think that using both resource cost

1 and load factor in computing that -- if you have got
2 some old cheap power plants that are producing power
3 for 4 cents and your marginal cost is 12 for a new
4 power plant, you got to cost basis for inverted rate,
5 that's pretty dramatic.

6 If, on the other hand, you're one of the
7 California utilities, with old power plants that are
8 fully depreciated, but they are natural gas-fired and
9 inefficient, and your new power plant is natural
10 gas-fired and efficient, there may not be much
11 difference between your marginal costs and your old
12 power plant costs. At this point, it gets to be a
13 de minimis differential. Simplicity has a value.

14 I mean, one of Bonbright's principles of
15 ratemaking is that simplicity is important. Customers
16 have to understand the rate design.

17 MR. GELLER: How do you respond to the
18 industrials that say, you know, we use power -- the
19 same power 365 days a year, so we should get all of the
20 base load and the residentials that use a little bit in
21 this month and a lot in the heating or cooling months,
22 don't get the benefit of those base load, but --
23 because the 24-hour Wal-Mart is using the same every
24 day.

25 MR. LAZAR: Well, that gets into cost

1 allocation theory as opposed to the rate design theory.
2 I approach that line with a great deal of trepidation.
3 Most cost-of-service methodologies do provide high load
4 factor classes with a recognition of that load factor
5 in the cost allocation to that class. And as many ways
6 of doing cost allocation studies as there are, unless
7 it is Public Service Company doing them, so they
8 approach it in many different ways. But the -- and
9 there probably are some that do exactly that. But
10 there should be a recognition of high load factor
11 classes receiving a cost allocation, based upon their
12 load factor. But most Commissions do share, you know,
13 every class has some base load uses. So base,
14 intermediate, peak methodology is one. Embedded cost
15 methodology, that does pretty much exactly that. Every
16 class gets an allocation of base-load plant, base-load,
17 an allocation of intermediate plant, based on their
18 incremental usage of the intermediate hours, and
19 allocation of peak load plant, based on their peak
20 usage.

21 CHAIRMAN BINZ: I'm sorry, Jim. Thor
22 Nelson.

23 MR. NELSON: Thor Nelson with Colorado
24 Energy Consumers. An observation on the inverted block
25 rate concept is, I think it's important to distinguish

1 between the different customer classes when you are
2 looking at the policies of inverted blocks.

3 I think that the presentation that Jim
4 has made has talked a lot about residential theory. At
5 the present time, as far as I understand, that was
6 the -- I understand that was the purpose of the
7 presentation. And I don't have a dog in that hunt, so
8 I am not going to go there. But when you talk about
9 the commercial classes, and the industrial classes,
10 some of these policy considerations are significantly
11 different than they are in the residential context.

12 And, so, I would encourage the
13 Commission, when you are inviting further comments on
14 these topics, to be cognizant of whether you really
15 only, for example, are interested in doing this on a
16 residential basis, or whether you really want to do it
17 for other customer classes, because the scope of the
18 issues you have to look at are very different,
19 depending on the kinds of usage you are talking about.

20 In the industrial class, you don't have
21 the notion of a group of people who use appliances,
22 and, then, a group of people who use space heating,
23 group of people that use water heat. The uses are far
24 more varied.

25 And you have one additional issue that I

1 ask a question, if any of these utilities apply
2 inverted blocks to the industrial class or small
3 commercial?

4 MR. LAZAR: Only one. I think I agree
5 with everything that was just said. My presentation
6 has only been on the residential. The only utility
7 currently that I am aware of, that has an inverted
8 block industrial rate, is Manitoba Hydro. They are
9 concerned that a large aluminum smelter or alkali plant
10 would move in, soak up all of the surplus at their
11 retail rate, which were way below market prices, cause
12 them to lose all of their off-system revenue, and cause
13 a rate increase in all of the existing industries in
14 Manitoba, to the detriment of the historic rate-based
15 resources that were there.

16 They adopted sort of the rolling baseline
17 rate. Everybody can pay their historical usage at low
18 rate, and incremental usage at a much higher rate.
19 Nothing resembling the kind of simple rate design that
20 we use for residential inverted blocks.

21 MR. CHRISS: Steve Criss from Wal-Mart.
22 I wanted to piggyback on Thor's comments a little bit.
23 And also, from a general policy standpoint, I question
24 the wisdom of putting in rate design that causes more
25 problems. So, if you go to a rate design where all of

1 a sudden the utility is worried about revenue stream,
2 it seems like you might be causing more problems than
3 you are solving.

4 That's why, generally, I don't encourage,
5 as Thor said -- and I agree with Thor -- I don't
6 encourage inverted block rates for commercial classes.
7 I know it's one of the questions in the original order,
8 and Schedule C with Xcel is one that has currently a
9 customer charge and energy charge.

10 There are a couple of things that are
11 important to us, when you are talking about that. The
12 first is we really haven't talked that much about
13 demand costs. And this is a problem with any sort of
14 rate where you have demand costs on a kilowatt-hour
15 basis. High load factor customers are going to be
16 subsidizing low load factor customers, because you are
17 taking this cost that should be billed on a per
18 kilowatt-hour, spreading it over kilowatt-hours on a
19 group that uses less because their load factor is
20 subsidized by the group that uses more, even though the
21 size of system that was required for both is the same.

22 And I can go up on the board and draw it
23 out, if you need me to. That's really the first part.
24 And then, so, the inverted block issue, because it -- I
25 think it exacerbates the subsidy. Anytime you have

1 kilowatt-hour charges covering demand costs, you are
2 going to have that problem.

3 The other problem with inverted block
4 rates, especially for commercial customers, it doesn't
5 reflect how we operate. We don't -- couple of examples
6 that will be in the forthcoming comments. One is we
7 have forklifts in four distribution centers that are
8 used 24/7 and we have to charge them at some point.
9 Well, if you have a time-based rate, on a daily basis,
10 or RTP, anything like that, you can make a change to
11 charge your forklifts at night when the rates are low.
12 On inverted block rate, the low price signal is the
13 first track of the billing cycle. You are not not
14 going to charge your forklifts for three weeks so you
15 can hit those few kilowatt-hours at the beginning of
16 the billing cycle.

17 The other is that, you know, the stores,
18 and in our retail stores, have the ability to cycle
19 refrigeration and demand lighting and operating
20 temperature. We will do that on an interday basis if
21 need be. And Wal-Mart has engineered 16 or 17
22 demand-response programs, so it's something we're very
23 used to doing. And on inverted block rate, we're not
24 going to operate the store at 75 degrees during the
25 high-priced periods and 77 degrees or, you know, we're

1 not going to operate the store at different
2 temperatures, different parts of the month. It just
3 makes no sense. There are a lot of efficiency gains,
4 which customers can deliver to the system, you are
5 going to lose if you would stick them in inverted block
6 rates versus time-based rates.

7 CHAIRMAN BINZ: Scott, I was going to ask
8 you a question. Do you want to just start talking?

9 MR. BROCKETT: You can ask me a question.
10 That's fine.

11 CHAIRMAN BINZ: You described in
12 comments -- which I assume you wrote this section. Am
13 I wrong?

14 MR. BROCKETT: Well, was it on inverted
15 rates?

16 CHAIRMAN BINZ: It was the second best,
17 the quotation about being second best. It sounds like
18 Scott. Would you elaborate on that a little bit? I
19 think you saw inverted block rates as maybe more
20 feasible than other, in your view, better rate designs.
21 And it might be characterized as a second best to
22 those; is that fair?

23 MR. BROCKETT: I think that that is fair.
24 I think there can be some cost-based argument for
25 inverted blocks rate. We heard some today. In our

1 opinion, there probably are better price signals. I
2 think you do better with time-of-use rates, because our
3 costs do vary with time-of-use.

4 For various reasons, we're kind of
5 reluctant to draw a clear correlation between all of
6 these end-uses and customers' cumulative consumption
7 during the month, because your service territory varies
8 widely. And you have half of the customers -- like
9 when I was in an apartment with 800 square feet, I
10 could crank up my air conditioner, maybe never get to
11 the 600 kW threshold. There are a lot of anomalies
12 that make the system's application of inverted rates
13 very problematic from a cost-based standpoint.

14 Having said that, I think it's absolutely
15 true that you can institute inverted block rates with
16 very few administrative costs. That's a huge
17 advantage. That's why I say second best, in terms of
18 setting the right price signals. I would stick by
19 that. But I also think there's an advantage in terms
20 of being able to do something, even if it's not that
21 great, without incurring a large degree of additional
22 administrative costs.

23 MR. LAZAR: You're not doing what
24 California has done, necessarily, but they have
25 addressed one of the concerns that you just expressed;

1 that California, if you look on the summary sheet, the
2 Pacific Gas and Electric, and Southern Cal Edison
3 rates, the blocks are defined as 100 to 135% of
4 baseline, below 100% of baseline. They have multiple
5 climate zones and multiple housing types and sort of
6 each kind of housing, multifamily, in the desert range,
7 gets a different first block than single family in the
8 coastal region. They have addressed that concern.
9 Addressing that concern causes both complexity and
10 confusion.

11 So, the concern that you raised about the
12 differences around your service territory are not
13 unique to your utility, and there is a way of dealing
14 with them. It comes with the penalty.

15 CHAIRMAN BINZ: Yes.

16 MS. NEWCOMB: JoElyn Newcomb and I work
17 with a solar company, and this has been a really
18 insightful discussion.

19 One of the questions I want to ask -- I
20 kind of am in a minority -- and this is just about
21 residential rates. And that is, isn't it almost
22 unconscionable that we're charging, for the first
23 400-kilowatt hours, for the lowest tier, if you will,
24 the same amount that we charge for the upper tier?
25 When I see that, like for Rocky Mountain Utah Power,

1 and in SWEEP's testimony, that 5% of the customers are
2 using 81% of the power and over 2000 kilowatt-hours and
3 they are getting the same rate that a poor person is
4 getting for that first 400 kilowatt-hours to provide
5 electricity. So my question is, in a way, isn't that
6 rate hugely inequitable for lower income people?

7 MR. LAZAR: I am an economist. We're
8 supposed to stick to efficiency. Equity is best left
9 to philosophers and politicians, to look the other way.

10 CHAIRMAN BINZ: I am not a priest.

11 MS. NEWCOMB: Is that true? Let me ask
12 the question a different way, then. Because we're
13 charging the same kilowatt price per kilowatt-hour, for
14 the first 400, as we are for the above 2,000, now,
15 isn't the first 400 -- isn't it true that the person
16 who's just trying to do the refrigeration, and get
17 their kids to school, and the 15% of kids in poverty in
18 Colorado, aren't they paying for that peak hour, for
19 somebody who runs their air conditioner above 2000
20 kilowatt-hours a month?

21 MR. LAZAR: If the Commission adopts a
22 cost methodology that puts the low cost resources into
23 a pool and gives everybody a fair share of those, and
24 then puts the more expensive resources into a pool, and
25 let's everybody buy as much of those as they want, you

1 get a tiered rate, if you start with a system that has
2 resources with different costs. If the resources all
3 have exactly the same costs, you don't necessarily get
4 to that result. In this case, in Xcel, do they all
5 have the same cost?

6 MR. BROCKETT: When you say, "Do they
7 all," what are you referring to?

8 MS. NEWCOMB: It's his question. The
9 resources.

10 MR. LAZAR: Do each of your power plants
11 have the same fully allocated cost?

12 MS. CONNELLY: No.

13 MR. BROCKETT: They don't have the same
14 costs, but, I think, what you are saying, if you want
15 to define equity in terms of the cost imposed on the
16 system, I think, when you are looking at the poor
17 person and usage, they are using -- it's not
18 necessarily how much they are using, it's when that use
19 occurs.

20 MS. CONNELLY: When it's --

21 MR. BROCKETT: That really determines how
22 much cost they are imposing on the system.

23 CHAIRMAN BINZ: I think one way to see
24 this is, this is a poor man's time-of-use rate. I
25 think, efficient rates, it's just considered that

1 under -- if you are on the tailblock, you are 15 cents
2 or 12 cents, for whatever use, in the middle of the
3 night, you are paying much more than the system costs
4 at this point. There's just no way to justify that at
5 that hour.

6 Now, if you step back and do what Jim
7 did, about sort of batches, that's a rough equity, is
8 what it is. I don't think you would claim a lot more
9 precision for it than that, unless I am wrong, Jim.

10 MR. LAZAR: No.

11 CHAIRMAN BINZ: It's a rough equity.

12 MR. LAZAR: Little --

13 CHAIRMAN BINZ: But, I mean -- Matt.

14 COMMISSIONER BAKER: I was just going to
15 ask, I was somewhat surprised that you don't make the
16 case based on efficiency; that if you were to implement
17 a tiered rate program, and you could avert some new
18 generation, then, isn't that the cost that your, you
19 know, isn't it true -- I mean, doesn't that, then,
20 become the justification for where the tiers, you know,
21 whatever tiers it is, to avert that more expensive
22 alternative, becomes the rationale for the blocks?

23 MR. LAZAR: Yes. I realized, as I was
24 presenting that, I sort of left out a third approach to
25 tiered rates. I used a load factor based and a

1 resource cost based. Both of those are sort of
2 embedded cost approaches. And I presented those
3 because it's my understanding that this is sort of an
4 embedded cost jurisdiction.

5 If I understand your question, the
6 marginal cost approach is that, in theory, the price at
7 all hours should be equal to the marginal cost --
8 long-run marginal costs at that hour. A system that is
9 in equilibrium would require new capacity to serve load
10 at any hour, or use relatively inefficient resources to
11 serve additional load at any hour. So, the marginal
12 cost at any hour would be significantly higher than the
13 average cost at any hour. And by setting all of the
14 rates at marginal cost, you would generate more revenue
15 than the revenue requirement.

16 Then, the question is, what do you
17 discount below marginal cost? In economic theory, we
18 use the term, "Ramsey Pricing" -- and he's a British
19 economist, 19th century -- is that you should discount
20 below marginal cost those elements of consumption that
21 are least elastic. So, the basic connection to the
22 grid, you know, whether it's the \$2 a month or \$20 a
23 month, I want cold milk and ice cubes and ice cream,
24 and I am going to plug in my frig, and I am going to
25 hook up to the grid.

1 So, there's a very inelastic component of
2 consumption. The first 200 -- I think the one rate
3 design, the last 200 kilowatt-hours, first block -- I
4 guess Portland, almost everybody is above that
5 extremely inelastic part of consumption below 100
6 kilowatt-hours. Discounts, you know, larger discounts
7 for the smaller units of consumption. So, that is more
8 customers see the marginal costs as their marginal
9 decision.

10 And that's sort of a marginal cost
11 approach to tiered rates, as you should discount most
12 below marginal costs that which is least elastic. The
13 consumption is not going to respond to the marginal
14 price signal.

15 CHAIRMAN BINZ: Paula.

16 MS. CONNELLY: Commissioner Baker,
17 though, unless the people responding to that marginal
18 cost signal reduce their usage during peak -- during
19 the peak hours, you are not going to save on having to
20 build more generation. That's the concern that we
21 raised in our comments. It's that the amount of
22 consumption that's used in any month is very much a
23 second best situation, and may or may not be correlated
24 at all to that -- the person's contribution to our peak
25 usage, or that person's contribution to our need to add

1 additional generation.

2 We much prefer -- the much preferred
3 method would be some form of time-of-use pricing, but
4 as we said, we have the cost of meters problem. This
5 is why Scott says it's the poor man's way of doing it
6 and, by far, second best, is this one.

7 MR. LAZAR: As I indicated, targets -- if
8 you have three block rates targeting that third block
9 for the space conditioning usage, gets at the very
10 usage that is most peak-oriented and is also likely to
11 be more -- most elastic.

12 CHAIRMAN BINZ: But still an on average
13 estimate.

14 MS. CONNELLY: On average.

15 MR. LAZAR: Yeah. You got customers with
16 swimming pools, and swimming pool pumps, that over the
17 course of a month, consume a lot of electricity. And
18 you can get to those with programs. You can get to
19 those with pool pump timers and things like that. But
20 there is a very high correlation between high-use
21 customers and peak-oriented customers.

22 It's not, by any means, perfect. As we
23 have all indicated, there's a metering and meter
24 reading and the customer understanding, I believe, for
25 time-of-use rates.

1 CHAIRMAN BINZ: Dennis Senger. Who else
2 wants in on this? We'll get you next.

3 MR. SENGER: I just wanted to clarify --
4 and, I think, most people understand this. But, when
5 we talk about a poor man's way of doing it, we're not
6 talking about low income.

7 CHAIRMAN BINZ: No, no.

8 MS. CONNELLY: We're talking about a way
9 of putting in something --

10 MR. SENGER: I want to clarify that for
11 the record. I know everybody that was reading it and,
12 you know, I guess, we're -- we had some comments, which
13 those of you who read it indicate some, I would
14 characterize it as, modest support for inclining block
15 rates. But using the somewhat same rationale, that
16 it's something that can be implemented relatively
17 easily, for smaller customers, without a lot of costs
18 involved it in.

19 But we are really concerned about some of
20 the things that have been talked about, the equity
21 issues. And in the case of that, when you take that
22 and apply it completely across the residential customer
23 class, and, certainly, before, you talked about issues,
24 Thor, you talked about the issues related to going to
25 that for a commercial industry, they become even worse

1 at that level.

2 So, our concern would be that inclining
3 block rates, structured with some modest support to it,
4 is really, because it is a poor man's way of doing
5 something, that's making it a little bit better. But
6 we strongly support looking at better ways of doing
7 something for most of the customers in the -- or
8 customers, as it makes sense to do in the residential.

9 CHAIRMAN BINZ: Dan.

10 MR. JAMES: Dan James with Xcel. I had a
11 question for Jim. You mentioned there was high
12 correlation between high-use customers and their
13 on-peak usage. Do you have any kind of ballpark number
14 of what that -- what does, "high," mean?

15 MR. LAZAR: Well, a number of utilities
16 have done stratified load studies. And all -- every
17 one that I looked at, from Vermont to California, to
18 Washington, shows a declining load factor as usage
19 increases, declining coincident peak load factors as
20 usage increases. Puget and Pacific are the only ones I
21 know about, because they are ones that have dealt with
22 this for the longest period of time.

23 And the residential -- average
24 residential load factor, more or less 50%; small use
25 customers, in the 60 plus percent, overall; large use

1 customers, that is those over 1,000 or 1200
2 kilowatt-hours a month, drop down into the 40s and 30s.
3 That's their total load factor.

4 If you then use calculus to disaggregate
5 that, and you say for that large-use customer, their
6 first 400 kilowatt-hours of consumption, that's the
7 same as the 400-kilowatt-a-month users for lights and
8 appliances, and you find that their usage over 1200 is
9 down in the 10% load factor, so, they have five
10 times the peak coincidence of a refrigerator.

11 MS. CONNELLY: Thanks.

12 CHAIRMAN BINZ: I want to take a census
13 here, because we're going to take a break, hopefully,
14 around 2:30. Howard was up, James and then Nancy.

15 MR. GELLER: I just wanted to note --
16 Howard Geller from SWEEP. In our comments, we
17 suggested either three blocks, or possibly four blocks,
18 to have maybe a fourth block for the really high usage
19 customers, say over 2000 kilowatt-hours per month.

20 We also supported the notion of
21 potentially linking participation in some of the DSM
22 programs, such as the Saver's Switch program, to reduce
23 peak air conditioning demand; to invert block rates,
24 potentially, not pricing the tailblock, the highest
25 block, if you participate in a program. And, I think,

1 that would be a way of providing more -- potentially
2 more peak demand reduction, more marginal cost
3 avoidance, promoting conservation across the board.

4 CHAIRMAN BINZ: Thank you. Interesting
5 idea.

6 MR. ELLIOTT: James Elliott with
7 SourceGas. For gas utilities, at least from our
8 perspective, I think what makes the inclining block
9 rate design mechanism alternative ineffective is the
10 difference in the ratio of demand costs to, say,
11 commodity costs, where, in our case, our commodity
12 costs our 80% of our total revenue. When you talk
13 about a small sliver, and it's that 3/10 of a cent
14 difference between the first block and last block, for
15 the effectiveness of an inclining block rate, I think
16 that's why, you know, you may see those kinds of
17 mechanisms in California but nowhere else.

18 And certainly we wouldn't advocate that
19 for the revenue erosion consequences that we, as a
20 utility, would face, as opposed to the limited benefit
21 that our customers would receive, with the change in
22 the resources that that might induce, so. . . Thanks.

23 CHAIRMAN BINZ: Thanks. Nancy.

24 MS. LAPLACA: Nancy Laplaca. Mr. Lazar,
25 as people make the connection more and more between

1 electricity production and global warming, do you find
2 that there's more demand on the part of customers for
3 these kinds of -- you know, that would change the
4 equation certainly.

5 MR. LAZAR: I am doing a lot of work
6 on -- for the California electric municipal utility, as
7 they are adapting to the California Global Warming
8 Greenhouse Gas Production Act. One element is that if
9 carbon is to be monetized, and inverted rate gives you
10 a way to reflect that carbon cost in the tailblock,
11 without having to reflect it in the revenue
12 requirement, and reflect the environmental costs of
13 some incremental generation, as you are trying to
14 achieve a 10 or 15 or 20% reduction in the emissions,
15 not 100% reduction, you only need to reflect it in the
16 tailblock to achieve that.

17 I don't think that there is any reason to
18 say that customers are making necessarily the
19 connection between electric rate design and climate
20 changes. Certainly the profession is, but in terms of,
21 you know, what we're seeing out of the general public,
22 I think it's a simpler response. Energy costs have
23 been going up, I am going to find ways to use less. I
24 want my utility to help me use less. I think it's a
25 sort of simpler response than that.

1 But from the professional rate design
2 perspective, being able to reflect marginal
3 environmental costs in the marginal rate for the
4 incremental usage is desirable.

5 CHAIRMAN BINZ: Jim too -- at least this
6 isn't actually to Jim, but I will start it there. At
7 least for Public Service Company, it seems that air
8 conditioning summer load is pretty much the explanation
9 for the summer peak and the growth in that.

10 Would that recommend, or not, if you are
11 going to do inclining block rates, to make them
12 seasonal? I see that, for example, Utah Power and
13 Light, or whatever it's called, Rocky Mountain Power,
14 has that kind of arrangement. Is that something you
15 think is good or bad?

16 MR. LAZAR: I used Arizona Public Service
17 as one of my two principal examples for a utility with
18 a single peaking season, summer or winter. I think
19 that a, for example, a summer-only inverted rate is
20 probably more logical than trying to do it year-round,
21 particularly if the utility has a resource surplus in
22 the off-season if it has a market for that surplus
23 that's attractive. The answer is different for -- the
24 northwest utilities are winter-peaking utilities. But
25 they sell their surplus into a market dominated by

1 California, which is a summer-peaking market. So, they
2 have established annual -- year-round inverted rates,
3 because their marginal costs to make more electricity,
4 to serve load during the peak season, is high, and
5 their marginal revenue for -- from selling electricity
6 in their own off-peak season is high.

7 So, you need to look at both the
8 utility's cost situation and the markets that it's able
9 to trade-in.

10 CHAIRMAN BINZ: Commissioner Baker and
11 then we're going to break.

12 COMMISSIONER BAKER: On the other hand,
13 playing off the Chairman's question here, most of the
14 utilities are, at some point, calling for more
15 base-load power to be added to the system. And we have
16 mostly focussed on how this design affects the peak.
17 Would you say it's more effective as a tool to delay or
18 defer base load, or is it, you know, cover all of the
19 bases? Help me out with that.

20 MR. LAZAR: In the residential SG class,
21 you will see savings in any season where you apply it,
22 an inverted rate. If base-load resources are in the
23 resource plan, that's telling you that reducing load at
24 any time helps you avoid base-load costs.

25 But one thing I have seen, in a number of

1 resource plans, is that the cost differential,
2 particularly building combined cycle gas versus simple
3 cycle, is that the capital cost differential is so
4 small, that the crossover point is in the hundreds of
5 hours a year of usage, that you would go ahead and
6 build a combined cycle unit. And that then becomes a
7 base-load plant, can serve at any hour. But the
8 proposed -- the relatively small
9 couple-of-hundred-dollar-a-kilowatt incremental
10 construction costs get justified just on the -- on a
11 few hundred hours of usage. So, I think, one has to
12 look a little deeper into the resource plan.

13 But base load, you know, base-load coal
14 or nuclear being added -- forget thermal -- a high
15 capital cost, 3,000- to \$5000-a-kilowatt base-load
16 plants are being added, that tells you that there are
17 benefits for reducing load at any time of the year.

18 MR. GRAY: Charlie Gray, Black Hills
19 Energy. Have you done any analysis on the tiered
20 rates -- the time-of-use rates? We're trying to send
21 price signals to our customers that our costs are
22 different at different times of the day, different
23 times of the year. How do we do that, send price
24 signals?

25 On the flip side, you allow the budget

1 billing to pay -- they pay \$80 a month, and they know
2 their bill is 80. And we're telling them, yes, these
3 kilowatt-hours were 15 cents, but you still owe us 80.
4 So, I struggle with, if we want to give them, then, the
5 price signal, do we then not allow them to be on budget
6 billing, so they get the true price signals, or send
7 them the price signals, but kind of ignore them and pay
8 us the flat amount anyway.

9 MR. LAZAR: Well, you know, your Visa
10 card bill comes every month, and some months you spend
11 \$400 and some months you spend 4,000. You always have
12 the option of making the minium payment. You can put
13 yourself on budget billing for your Visa card, which,
14 of course, you pay interest. You can put yourself on
15 the billing budget for your Visa card, but the bill
16 comes with the total amount that you consumed for the
17 month on it and you see that. And then you make a
18 decision, how much of it you are going to pay.

19 The utility bill should certainly come
20 with, you know, not the 80 bucks, that all-you-can-eat
21 arrangement. You used \$112 worth of electricity for
22 the month, your budget billing amount is 80, and if
23 your usage stays at this level, it's going to go up.

24 But I concur that budget billing tends
25 to -- budget billing and autopay can mask all price

1 signals. I sometimes don't look at my electric bills
2 for three months at a time, if I am really busy. It's
3 on autopay. I see what it was when my bank statement
4 arrives. I eventually key in the data, because I am
5 an --

6 MS. NEWCOMB: Economist.

7 MR. LAZAR: That's who I am. I have a,
8 you know, 30-year history of my electricity usage by
9 month.

10 MS. CONNELLY: Have you been conserving?

11 MR. LAZAR: Uh-huh. And, but, certainly,
12 the price signal can be masked by both budget billing
13 and autopay, but, for that reason, the one reason I
14 want -- that you need to simplify the rate presentation
15 on the bills, so the customer understands what a change
16 in their usage does to their bill. You know, if there
17 is 14 rate elements that make up the rate, and when you
18 add them all up, the 10 cents a kilowatt-hour -- make
19 sure the customer knows that using more is going to add
20 10 cents a kilowatt-hour and using less is going to
21 save 10 cents a kilowatt. People aren't going to add
22 31.378 plus 2.15654 plus a whole bunch of five decimal
23 line items to figure out how much can I save by
24 saving -- you need to have a bottom line. What is more
25 usage cost.

1 And bill presentation is important. Many
2 commissions -- I don't know if you have -- have
3 required utilities to work on their bill presentation
4 with focus groups, until they get things the customers
5 do understand.

6 CHAIRMAN BINZ: I think this is a good
7 time to take a break, and until quarter till. And we
8 would either continue on this topic or switch to the
9 next one, which is what I think we should do.

10 (Recess.)

11 CHAIRMAN BINZ: I would like for us to
12 move to the time-of-use discussion. Are there any
13 burning comments that must be made about inverted block
14 rates that you didn't get a chance to make? Okay.

15 Time-of-use. We asked you to think about
16 the considerations that Jeff and -- by the way, I
17 should thank Jeff Ackermann and Geri Santos-Rach, Tony
18 Munoz, and who else worked for this party? Scott
19 England, for their help on this project.

20 Anyway, we put some questions down there,
21 basically asking questions about whether we should
22 consider moving forward on time-of-use rates before we
23 know more about the Smart Grid experiments. We asked
24 people to think about the relative advantage of the
25 time-of-use versus other things, like the inverted

1 block discussion we just had.

2 I don't know if this question is on here,
3 but I know it was on the original set. And that is,
4 what will be the receptivity of customers generally,
5 and maybe certain customer groups more specifically, to
6 time-of-use. And when I say, "time-of-use," we're
7 talking about mandatory time-of-use. I think everybody
8 understands that offering these as options tends to get
9 into this training situation, where only customers who
10 benefit opt in, and you get sort of an adverse
11 selection, as they say in the insurance business.

12 So, I think you should think about any of
13 these regimes as pretty much mandatory. Maybe there
14 will be options between them, but that will be the way
15 it goes. We have no presenter this time, but we are
16 certainly open for anybody who wants to start the ball
17 rolling on time-of-use rates, who likes them, who
18 doesn't like them.

19 MR. CHRISS: I apologize, again, for not
20 having filed comments yet. I have been on the road a
21 lot the last six weeks. Time for writing has been
22 short. But, in general, time-of-use rates, they are
23 sort of a step towards real-time pricing, but they are
24 still a big step forward from the flat rate, because
25 you are getting the interday volatility, interweek

1 volatility. A number of states, they will do the rate
2 based on the day as well.

3 The downside, in our opinion, is that the
4 time-of-use rates, you know, they are generally set
5 during rate cases, so you don't see lots of movement
6 with actuals in the market. So, you get the
7 approximations of what's going on. You are not
8 actually responding to what's going on. So, you're
9 going to -- what's the word? There is going to be a
10 less needed impact of low price periods and high price
11 periods -- less flexibility.

12 COMMISSIONER BAKER: Is it fair to say,
13 at least from our perspective, when we are thinking
14 time-of-use, we're thinking of kind of a cluster of
15 static and dynamic mechanisms or --

16 CHAIRMAN BINZ: While he was answering
17 the question, I was thinking we should define the term
18 right now. So, I guess, if you are going to use it in
19 a different sense, you need to identify that as such.

20 Let's start with time-of-use rates for --
21 in our rates, such that the rate changes -- the
22 constant rate changes a few times during the day, just
23 a few blocks, maybe a peak, a shoulder and off peak.
24 Let's just say something like that, where the time
25 blocks don't change often and the rates don't change

1 often.

2 MS. NEWCOMB: Okay.

3 COMMISSIONER BAKER: Which is what he's
4 answering.

5 CHAIRMAN BINZ: That's what you are
6 answering. You are correct, of course, that is
7 dynamic. Pricing of that is another step on the way to
8 real-time pricing, I would say. Thor.

9 MR. NELSON: I didn't want for cut off
10 Steve.

11 One of the things that I think, from our
12 perspective, as I indicated in the discussion on the
13 inverted block, my clients, which, for the group's
14 benefit, tend to be larger industrial customers, are
15 supportive of rate design that evolves towards tracking
16 the actual cost at the time of usage. And as we have
17 just illustrated, there's a continuum of, you know,
18 going from rough approximations of peak and off-peak or
19 peak shoulder, and off-peak to real-time pricing and a
20 wide range in between.

21 As a general concept, I think that these
22 are good things and that they can be, I think, usefully
23 collected where you, in particular, have meters that
24 are capable of achieving the results you want. I think
25 you talked about the implementation being tabled until

1 you have Smart Grid done. That, again, is a situation
2 that you need to look at this question on, like the
3 last ones, class by class precisely, on the sort of
4 meter capability sort of basis. The more
5 functionalities you have in your meters, the more
6 robust your rate design can be to try to deal with
7 these issues, and to try to track costs more precisely.
8 The less refined your meter, the more blunt your
9 instrument is going to be.

10 One of the observations I would make,
11 though, is to the extent time-of-use is designed to --
12 and this is in your sort of second bullet point, where
13 you say, are you supposed to reduce peak, encourage
14 conservation or improve intercustomer equity. I would
15 say that, as a conceptual matter, time-of-use rates
16 along this continuum can achieve all of those results,
17 depending on how they are designed.

18 I would say that, in the past, one thing
19 we have observed, though, is where you do have rough
20 approximations of blocks of time, where it's peak and
21 off-peak, one thing that can happen is, if your goal is
22 to reduce peak demand, you have to have a sufficiently
23 small window that you call, "peak," in order to
24 actually allow customers to shift load onto off-peak.
25 In the past, where you have a peak period which, for

1 example, is 14 or 16 hours of the day, it becomes
2 incrementally harder to shift to off-peak and take
3 advantage of lower rates than if your peak period were
4 6 or 8 hours of the day.

5 And, so, that's one of the things that I
6 would encourage the Commission to consider, is, to the
7 extent peak demand is one of the objectives you are
8 trying to target, you need to focus on whether or not
9 you have a small enough peak period, such that
10 customers are actually able to switch out of that, to
11 accomplish that, otherwise, you basically won't get the
12 peak demand shift. You may still get other beneficial
13 results but that part of it is largely going to be a
14 function of how big that peak block period.

15 MS. NEWCOMB: I just wanted to say, I
16 applaud the Commission for both having this kind of
17 forum, and looking at the inverted base and time-of-use
18 pricing. What I want to say, selling solar is really
19 interesting. You get to go talk to customers face to
20 face. I realize how much they don't know about their
21 electricity bill.

22 One of the things I want to say, I was
23 presenting to a physician in downtown Denver, and there
24 is no difference that a 100-kilowatt system would do
25 for her electric bill. So, without time-of-use, or

1 without tiered pricing, the only reason she would be
2 putting a solar system on her home -- or on her
3 business, excuse me, is for the Federal tax credit.
4 And that's very discouraging, to be selling to a
5 customer and to say, yes, you can invest in solar, yes
6 it will produce 140 kilowatt-hours a year, and you have
7 no change in your bill, none. And, so, I think this
8 idea of really changing how we price electricity is
9 important for residential and small commercial.

10 The last thing I would say is -- and, I
11 think we make some mistakes, often, in public policy --
12 is that simplicity is really important; that sometimes
13 we reject inverted base pricing or inverted tier
14 pricing because time-of-use is better. Time-of-use is
15 no doubt better, but it's also more costly. And so,
16 sometimes, you got to go the intermediate step to get
17 movement in the market. And that would also help us
18 with some of our solar, both on residential and small
19 commercial.

20 So, I really appreciate you guys thinking
21 about it.

22 CHAIRMAN BINZ: Thank you. Thanks for
23 those comments. I think this is a candidate to be
24 leapfrogged over, isn't it? I mean, if you are going
25 to get meters which are smart enough to do

1 time-of-use -- I mean to do dynamic pricing or at least
2 much more differentiated pricing than the gross pricing
3 structures you get here, is it worth pausing at this
4 one or not? It's a question I have got. Should Public
5 Service Company install meters which can do, you know,
6 gross measurements of energy use, so that we can make
7 this a systemwide implementation.

8 MS. NEWCOMB: I kind of have a funny
9 story.

10 CHAIRMAN BINZ: It's like buying a PC.
11 Should you buy it now and it's going to be outdated in
12 a year. You know that, but you need one.

13 MS. NEWCOMB: I kind of have a funny
14 story about that. I just got a new thermostat, you
15 know, and you are trying to charge -- put the time that
16 you want the heat to be 69 degrees or 72 degrees or
17 whatever. Well, it really drives me crazy that it
18 turns on earlier. It's trying to get the temperature
19 exactly at what I want at 7 in the morning. So it's
20 turning on at 4 in the morning and waking me up.

21 So, I mean, when you are talking about
22 time-of-use, what's interesting is you got to have all
23 of this electronics equipment just to make your
24 appliances do the right thing, and in this particular
25 house, right? So, it's smarter than I am, and it's

1 trying to get me at the right temperature but it's
2 waking me up at night.

3 So, I just think that one of the
4 interesting things about moving in all of these
5 directions, we do need better electronics for homes so
6 that people can actually respond to this Smart Grid or
7 time-of-use or real-time pricing, but that's just a
8 funny story.

9 CHAIRMAN BINZ: Dennis.

10 MR. SENGER: Dennis Senger with the
11 Office of Consumer Counsel. One of the concerns that
12 we have about waiting for the Smart Grid, is what if we
13 find that it's not cost-effective, and then we have
14 lost whatever time it takes to do that. So, now, it
15 may, in fact -- and one of the things we need to find
16 out is, are the meters that we would have to put in
17 place to start doing time-of-use for certain times --
18 again, I am talking about residential customers, small
19 commercial, generally, not you guys, because you have
20 your meters probably already, but, you know, we don't
21 want to implement technology that's going to get lost
22 if we go there. That would be one of the concerns, and
23 we need to have that question answered. But we don't
24 want to necessarily also wait for Smart Grid to start
25 making improvements.

1 And, you know, one of the thoughts behind
2 that is there is a lot of decisions being made about
3 resources right now. And the longer we wait to
4 implement programs, that when consumers can actually
5 play a part in that resource planning, the more these
6 decisions are going to be made without any input from
7 the consumers, other than, well, you know, give me my
8 bill, I pay it, and you tell me what kind of resource
9 you are going to put in place.

10 I would like to have -- we are advocates
11 of implementing whatever makes sense. You know, it has
12 to make sense. If we find out what's going to be \$20
13 million, Smart Grid goes in, it goes away, that's
14 probably going to be a different decision, but we would
15 like to think there is ways of starting to implement
16 some things immediately that wouldn't necessarily
17 become outdated.

18 CHAIRMAN BINZ: Mr. Tarpey.

19 COMMISSIONER TARPEY: Dennis, are you
20 suggesting that the -- before Public Service Company
21 starts with Smart Grid, that we decide what it is we
22 want these meters to do, and what the costs will be?
23 Or it sounds to me like --

24 MR. SENGER: I am expecting we're going
25 to have a Phase 2 rate case next year sometime. And

1 that I think that should be an open discussion, as to
2 whether or not a program, even at this point in time,
3 would be implemented.

4 COMMISSIONER TARPEY: Regardless of when
5 that may be done, are you suggesting that the Smart
6 Grid should not start before that?

7 MR. SENGER: I wasn't saying Smart Grid
8 should not start. I was saying we shouldn't wait for
9 Smart Grid to do the -- I was actually saying it the
10 other way around. I apologize if I had confused you.

11 COMMISSIONER TARPEY: I am trying to
12 track how this plays out. You are sure Smart Grid is
13 going to do what.

14 MR. SENGER: None of us know.

15 COMMISSIONER TARPEY: You are not sure
16 what it's going to do. What would you like it to do?
17 Where is it we go now to either ensure -- are you
18 suggesting we go down some other road?

19 MR. SENGER: I don't think there's
20 anything we can do to ensure anything on this. What I
21 am suggesting is that implementing some time-of-use
22 for -- even for larger residential customers, at this
23 point in time, as long as you haven't implemented
24 technology that is expensive and going to be throw-away
25 technology, why would you wait for Smart Grid to start

1 to make improvements? I mean, there is going to be a
2 lot of customer education that's going to happen
3 anyway. That's part of the process.

4 CHAIRMAN BINZ: Paula or Dan, can you
5 talk about what Smart Grid is going to do?

6 MR. JAMES: I wanted to react a little.
7 I couldn't agree more with what Dennis is saying in
8 that, whatever we do needs to make sense. And by that,
9 what we implement, and the costs -- that the benefits
10 have to outweigh the costs. And if it's an interim
11 step, if it's a final step, Smart Grid is the Holy
12 Grail, Smart Grid, real-time pricing, that's about the
13 tightest link between retail markets and, you know, the
14 wholesale market, or the wholesale cost of power.

15 Are we ready to implement that on a
16 full-scale basis right now? No. Because we -- that's
17 one of the things Smart Grid is about. What I mean,
18 there have been a lot of programs done around the
19 country and I see stuff, and real-time pricing and
20 time-of-use and critical peak, all of that, we have a
21 lot of information about how those things work.

22 What Smart Grid is trying to do is
23 probably going further than that, to try to bring a lot
24 of these new technologies together in one place, at one
25 time, and see what works well together. So, I don't

1 think we necessarily have to wait for Smart Grid to
2 give us all of those answers, because it's trying -- I
3 think that program is trying to answer a lot larger
4 questions than what we were dealing with today, which
5 is, what kind of rate designs and rate structure should
6 we put in place going-forward, maybe starting today, or
7 at the next rate case, to make our way to maybe
8 whatever Smart Grid answers for us.

9 But, also, what is the cost and what are
10 the benefits of doing something? I agree, we can't
11 wait for the full answers for Smart Grid. I think we
12 would have some answers on metering costs,
13 communication costs, customer response, not just
14 behavioral response, but what customers like, what
15 don't they like.

16 So, if, again, we're a little bit between
17 a rock and hard place. We don't want to do nothing
18 today, but we don't want to jump in, like how I view
19 what California has done, which has said, yes, put all
20 of these meters in for all of these customers, and we
21 think that we're going to have a, you know, good
22 basecase at the end.

23 So, you know, I don't know what the
24 answer is, but I think that we won't have to wait for a
25 long time for Smart Grid. But we should have a year's

1 worth of data on customers, in response to different
2 possible pricing options, by the end of 2010, I think,
3 is what we're looking at right now.

4 I don't know if, from a policy
5 perspective, that's too long to wait to do anything,
6 but we should have more data at that time.

7 CHAIRMAN BINZ: Howard.

8 MR. GELLER: I would like to pose a --
9 Howard Geller -- sort of follow-up question. Putting
10 aside Smart Grid, my understanding is that PSCo has
11 been implementing a residential time-of-use and
12 critical peak pricing pilot program for something like
13 three years now, if I have the system's time frame
14 correct. And can you say what you have learned,
15 particularly regarding costs and benefits? Do you
16 think there's a case to be made to going ahead with
17 some form of time-of-use or critical peak pricing.

18 MR. JAMES: Sure. That residential pilot
19 was conducted -- well, over one year. It was part of
20 two summers. It was not a technology test, though.
21 Really what we were trying to test was customer
22 reaction to different pricing structures, time-of-use,
23 time-of-use with critical peak pricing, critical peak
24 pricing, those were the three options. And, yes, we
25 did get information on that of price elasticity and

1 customer reaction, and what they liked about rates and
2 what they didn't like about rates.

3 What we did not test was technology. We
4 had to shut some meters in and we, you know, did tests
5 the rates with enabling technologies, you know, the
6 programmable thermostats, the Saver's Switch kind of
7 technology, and we found out that kind of the
8 behavioral change, you know, what kind of reduction in
9 demand and energy can we expect from the different --
10 with and without technologies, from the different
11 rates.

12 But we didn't say, what's the
13 cost/benefit analysis of this. We did, you know, going
14 into it, we had a model that we said, if we implemented
15 this, you know, based on what we know today, that
16 cost/benefit, you know, looks like it would work,
17 metering costs. By the time we got done with the
18 program, we decided metering costs were not -- were too
19 high to take those programs forward, but metering costs
20 are coming down every day. I mean, it's just amazing.

21 I think -- I was trying to remember.
22 Around the time we ended that program, there was a
23 meter made by Itron meters, the Centron, that we could
24 put in the field today, for -- to do basic time-of-use,
25 on-peak/off-peak compatible, with the van-read that

1 we're using. And the installed cost of that thing was
2 about 100 bucks, which is fairly expensive but not, you
3 know, what it used to be. It's not a --

4 CHAIRMAN BINZ: Dan, how did that compare
5 to the installed cost of a dumb meter? What's the
6 delta?

7 MR. JAMES: My recollection is the dumb
8 meter installed cost is around 30 to \$40, something
9 like that. So it's, you know, it's a significant jump.

10 CHAIRMAN BINZ: But the 100 was -- not
11 new construction. This was a retrofit.

12 MR. JAMES: It's popping out the old
13 meter, popping in a new meter while program -- well,
14 programming it. It's not that smart, because it allows
15 you to get two pieces of data every month when you
16 drive by instead of one piece of data. You know, you
17 can get on-peak consumption and off-peak consumption.
18 So, it's not that much smarter.

19 MR. GELLER: States half a kilowatt. It
20 records it.

21 CHAIRMAN BINZ: And this is a good
22 discussion, because I had this discussion with the --
23 at least Roy Palmer and someone else from Public
24 Service Company. My question is, assuming there is
25 ever new houses built in this country again.

1 COMMISSIONER TARPEY: We have some lead
2 time.

3 CHAIRMAN BINZ: Yes. Why isn't Public
4 Service considering -- why isn't Public Service Company
5 installing, quote, unquote, smart meters, whatever that
6 is, with new construction instead of dumb meters? We
7 take a hit of 40 to 60 bucks, something like that. You
8 avoid the future retrofit costs, and you got customers
9 you could then begin putting on an alternative rate
10 structure.

11 MR. JAMES: That's not the smart meter.
12 That \$60 incremental cost, that's a third-grade meter.

13 MS. CONNELLY: The whole issue of, are
14 you going to buy your PC now, are you going to buy it
15 two years from now. You want to buy it when you are
16 going to have the rates in place, that people can
17 actually use the functionality.

18 MR. JAMES: It's almost a chicken and egg
19 problem. Do you put in the technology to enable the
20 kind of rate structures and rate designs that you want,
21 or do you decide these are the types of rate structures
22 we need, what kind of technology do we have to put in
23 place to enable that. That's a pretty basic decision.

24 CHAIRMAN BINZ: I had somebody else
25 before you. He's been waiting.

1 MR. CHRISS: In looking at the questions
2 that were posed, you are looking for other examples
3 around the country. And one that stuck with me for a
4 while -- and I went and looked to make sure it was
5 still going on -- was from CNT Energy, in Illinois.
6 They have a residential RTP program. Even a couple of
7 years ago, they were reporting savings with this
8 program, and they are not using Smart Grid, anything
9 like that. They are basically putting -- interval
10 metered pricing information is provided over the Web.
11 They had real-time pricing on the Web. If prices are
12 going to hit -- if the next day price is going to hit
13 13 or 14 cents, they will call you or e-mail or text
14 you, say, hey, tomorrow is going to be a high power
15 price day, so customers know to be aware that the next
16 day is going to be high, like Ameren started in May
17 2007. And they also said that the customers who
18 participated thus far have saved 16%, on average, over
19 the flat rate.

20 And, so, I think there are lower tech
21 ways of doing -- you still need interval meters. I
22 don't know how much that costs. I don't get that much,
23 as far as residential rates, in terms of looking at
24 what TOUs are you asking for, versus what can probably
25 be done with existing Internet and phone, and it's sort

1 of -- certainly something worth looking at.

2 MR. JAMES: Interval meters are not
3 capable of being van-read, but, you know, you can
4 install a phone line and read them that way. There's
5 a, you know, it's not new technology. There's
6 additional TOUs. Plus they are around that \$100, maybe
7 a little more, range.

8 COMMISSIONER BAKER: You do have the
9 technology to do even real-time pricing with the
10 industrial classes.

11 MR. JAMES: With interval meters,
12 correct.

13 COMMISSIONER BAKER: And then also would
14 there be any desire to do that -- just make that --

15 MS. CONNELLY: We have done that. We
16 have a time-of-use tariff in place right now.

17 MR. JAMES: Real-time pricing or
18 time-of-use.

19 MS. CONNELLY: Time-of-use.

20 CHAIRMAN BINZ: It's optional.

21 MR. JAMES: We had a real-time pricing
22 program but very little customer interest.

23 MS. CONNELLY: We only had one or two
24 customers on real-time.

25 MR. JAMES: At the most, we had four on

1 at that time, or four off.

2 MS. NEWCOMB: My question -- it's JoElyn
3 Newcomb. My understanding, from our customers in
4 Boulder, with the Smart Grid, is that the meters that
5 you are installing don't track the solar system and the
6 Smart Grid in real-time pricing. And so, are we going
7 to get a meter that works with solar and real-time
8 pricing and Smart Grid? That's my understanding.
9 That's what Xcel has told us in meetings.

10 MR. JAMES: That's my understanding too.
11 And actually it came up in meetings the other day. If
12 I were a customer in Boulder, we had a solar system on
13 my house, I would want what we put in the Chancellor's
14 House as a demonstration program. There you can look
15 at the real-time output of the solar system. You can
16 look at the real-time consumption of the home
17 separately. But those small systems in Boulder, under
18 10 kW, are net metered, so it's a net metering issue.

19 I would think consumers would want to, if
20 they cared that much, want to see what was going on
21 with their systems and with their consumption, they
22 should be probably separately metered. They should
23 probably have some kind of portal, some view into that,
24 which we're working on, by the way. But what does
25 that, then, do to the whole net meter issue.

1 MS. CONNELLY: We were required to set
2 those all up as net meter, by Commission rule.

3 CHAIRMAN BINZ: Okay. Jim, on
4 time-of-use or something close?

5 MR. LAZAR: Yeah. I put up here a grid
6 that the New England Demand-Response Initiative Pricing
7 and Meter Committee put together of rate design options
8 by customer class, and it may have some elements to it
9 that are useful to people in thinking through
10 time-of-use and complex metering.

11 Across the top are types of rate designs,
12 typical current rate designs for each class, inverted
13 rates, fixed time period TOU rates, a TOU rate plus
14 critical peak pricing, where the utility could declare
15 critical periods, and the price would be much higher
16 then. And then a couple of kinds of real-time pricing
17 that are just -- I think of those as real-time pricing.

18 The residential customers we approached,
19 that the default rate was an inverted rate, the
20 kilowatt-hour-only metering was in place, or a TOU
21 rate, if the TOU meters were already in place, with an
22 option for residential customers to choose TOU plus
23 critical peak.

24 The larger the customers got, small
25 commercial, medium, large and very large, the more

1 complex the default options became. Simplest rate
2 options went away, and customers could choose,
3 typically, a more complex rate design than they were
4 required to take. So, medium general service customers
5 would have their default rate as 250 kilowatts. Their
6 default rate could be a fixed time TOU rate. And their
7 option would be a TOU plus critical peak pricing.

8 But the customers of that size wouldn't
9 get into real-time prices, whereas customers over 2000
10 kilowatts, just a large industrial customer, would be
11 required to choose between the real-time pricing
12 options.

13 Just the concept of a matrix system, the
14 bigger the customer, the more complicated the default
15 rate design, and more complicated the optional rate
16 design, it just may be useful for people in thinking
17 through what's appropriate here. And, obviously, in
18 the three years since this was done, as was mentioned,
19 meter costs have come down and it might be the whole
20 thing starts to slide to the right as a result of that.

21 CHAIRMAN BINZ: Thanks, Jim. That's very
22 good. Very interesting. Anything else on time-of-use
23 rates or systems?

24 COMMISSIONER TARPEY: I got a question.

25 MS. CONNELLY: I would just like to

1 mention, in our last Phase 2, Public Service proposed a
2 mandatory time-of-use rates for customers over 300 kW.
3 This ultimately ended in businesses changing that
4 mandatory to an optional time-of-use rates, primarily
5 because the customers who are going to be subjected to
6 it, didn't want it.

7 And, so, they want to make it optional.
8 Then what you have is you have self-selection. Those
9 folks who are going to save money opt for it. Those
10 folks who aren't, don't. And what you have created, of
11 course, revenue erosion and the cost shifts as a
12 result. I just want you to understand that the
13 customer acceptance of all of this is still an unknown.

14 COMMISSIONER BAKER: I have two
15 questions. One is just, what is -- Jim made a point
16 about how inverted structure can lead to revenue
17 erosion. If you have got a real-time pricing regime,
18 do you have the same problem there or is it, you know,
19 is --

20 MS. CONNELLY: If you get to actual
21 real-time pricing, and it's designed right, you don't,
22 but these time-of-use are -- still have averages built
23 in.

24 MR. LAZAR: The efficient thing is to set
25 the rates based on long-run marginal costs. And if the

1 real-time pricing is based on the short-run marginal
2 costs, you still have a mismatch between cost and
3 revenue.

4 CHAIRMAN BINZ: Yeah. I was going to
5 point that out. Real-time pricing does not mean
6 long-term marginal costs.

7 MS. CONNELLY: Right. It's more -- it's
8 been designed short-term.

9 MR. LAZAR: Short-term.

10 CHAIRMAN BINZ: Your nighttime rate may
11 be extremely low.

12 MR. LAZAR: Real-time pricing, based on
13 short-term costs, avoids revenue -- net revenue
14 instability for the utility, but it doesn't produce a
15 very efficient long-run price for the consumer to make
16 long-run investment decisions.

17 COMMISSIONER BAKER: I just want to tee
18 off something that Jim had raised before this meeting.
19 What happens if you have time-of-use or real-time
20 pricing, and you end up -- and we're in a regime where
21 there's fairly high carbon costs. So, then, from a
22 pricing perspective, it seems like your peak may be
23 24/7, because the, you know, a lot of coal
24 generation -- the higher carbon generation is off-peak,
25 the more expensive. So, you know, if we're solving

1 this one problem now, couldn't we end up in a situation
2 where actually it's kind of irrelevant, from a cost
3 perspective, down the road? Does that make sense?

4 MS. CONNELLY: Yes. That makes sense.

5 In fact, during the break, I asked Jim, kind of going
6 back a step, on the inverted block, how all of the
7 studies, and the inverted blocks, took into account, if
8 they did, a situation where a utility was actively
9 trying to acquire renewable resources for carbon
10 reduction. And your answer -- and you might just want
11 to say, your answer was --

12 MR. LAZAR: We haven't thought that
13 through yet.

14 MS. CONNELLY: How that all interplays.

15 MR. LAZAR: It's an important question
16 that deserves a thoughtful amount of study. And I
17 don't think we have put that question together with
18 relevant studies.

19 COMMISSIONER BAKER: On a time-of-use
20 basis, if we were moving resources that are
21 predominantly gas that -- into resources that are
22 predominantly coal, don't we end up with a, you know,
23 can that be self-defeating at some point?

24 MS. CONNELLY: It could end up with more
25 carbon.

1 I think, based upon something Paula said earlier. I
2 got the impression that, to get serious about moving
3 forward on time-of-use may require the initiative --
4 may require the Commission to begin instituting a
5 proceeding or beginning with a proceeding?

6 MS. CONNELLY: As opposed to the utility?

7 COMMISSIONER TARPEY: Waiting until
8 sometime in the future when the utility comes forward.

9 MS. CONNELLY: Well, we will be --

10 COMMISSIONER TARPEY: Part of that is
11 whether that would be Phase 2 of the next case, whether
12 there should be some other proceeding for getting
13 there. But it sounds like there's a certain amount of
14 call for this. The Commission needs to be actively
15 involved in this, so the right signals are given out,
16 and you know what to do with that, regarding
17 technology, and then going-forward.

18 MS. CONNELLY: I think we have made it
19 clear we're going to be filing an electric Phase 2 case
20 in the spring of next year. So, that would be a
21 potential springboard for looking at these issues, if
22 that's what you would like for us to do.

23 COMMISSIONER TARPEY: Would that be a
24 springboard to the Phase 2 resolution, immediately
25 following that, as well as what should be done with

1 regard to implementing time-of-use over the next five
2 years beyond that? Because I think there may be a
3 transition period here about going more and more for
4 time-of-use. If that is correct, what's the right
5 forum for taking that up as opposed to what do we do
6 for the next rate -- immediately right out of the rate
7 case.

8 MS. CONNELLY: Yes. I think,
9 procedurally, you could use either route. You could
10 have a docket that's just devoted to what's the
11 appropriate ways to implement time-of-use, but it might
12 be more productive to actually have some numbers, when
13 you are looking at that. So, I would suggest the
14 appropriate springboard would be to use our Phase 2
15 filing, as at least a starting point. Otherwise,
16 you're trying to design things without having any sense
17 of what the dollars are involved.

18 CHAIRMAN BINZ: So, following easily on
19 what he just asked, are you -- will you be asking us
20 what we want to see you present in your Phase 2,
21 because that's --

22 MS. CONNELLY: Let me check with my
23 client.

24 MR. PALMER: I would ask you right now,
25 what would you like to see us present in our Phase 2?

1 I mean, right? This is the forum to have that. It's
2 not all one way.

3 CHAIRMAN BINZ: We can't make a decision
4 right now right in front of you, am I right, Jim?
5 We're going to be responding to their proposal. We are
6 going to be taking up, in a creative fashion, an
7 investigation of rate structure.

8 COMMISSIONER TARPEY: I am more than glad
9 to take on Roy's question. I think that's actually
10 what we're doing this year, indicating to parties what
11 we want to hear in the case, and parties have been
12 indicating the more they know upfront -- so, I think
13 that's pretty much -- and I think the time will come
14 when we can elaborate upon that in more detail. I
15 think, actually, if we think that's the way to do it,
16 we should, at some stage, so indicate.

17 CHAIRMAN BINZ: I agree.

18 COMMISSIONER TARPEY: With enough time
19 for that to be taken into account.

20 CHAIRMAN BINZ: Just right not at 3:25
21 p.m.

22 COMMISSIONER TARPEY: Probably have to
23 give notice.

24 MS. CONNELLY: If you want us to take it
25 into account, something we're filing approximately

1 April of next year, we need to know soon, or else we
2 won't be able to do all of the studies and everything
3 else.

4 CHAIRMAN BINZ: We should take that as a
5 request?

6 MS. CONNELLY: A comment.

7 COMMISSIONER TARPEY: Sounded that way to
8 me.

9 MS. CONNELLY: A comment, not a request.

10 CHAIRMAN BINZ: Thor.

11 MR. NELSON: Sort of on this question,
12 couple of observations. One observation is, to the
13 extent the Commission has an interest in looking at
14 that, alternative rate designs for a number of
15 different policy objectives that have been talked
16 about, one thing that I guess I would ask is that you
17 consider the possibility of setting up that sort of
18 policy, at least at some foundational level, in a rule
19 rather than doing it on a utility -- like we have
20 talked about a lot, about Public Service Company, they
21 are not the only regulated utility in the state.

22 CHAIRMAN BINZ: You can tell me too.

23 MR. NELSON: I got that, but there is
24 another one. And, I think, from a practical
25 perspective, if you want to do this, it should be done

1 across-the-board in the state, as you are eligible to
2 do so. So, it's just -- Matt's comments, but you can't
3 just do it just by asking Public Service, in its
4 filing. . .

5 COMMISSIONER BAKER: Can I also --

6 MR. NELSON: Go ahead.

7 COMMISSIONER BAKER: Just to play devil's
8 advocate for a second, it seems to me -- Black Hills
9 can let me know if I am correct on this -- Black Hills
10 has already invested a fair amount of money in new
11 meters, and has a different infrastructure than Public
12 Service, that it might actually be the best way to do
13 it, by taking it one utility at a time. What would be
14 the downside to that?

15 MR. NELSON: Just let me be more clear.
16 I think that these sort of rates have to be implemented
17 based on the individual utility's costs and
18 circumstances. What I would suggest we consider,
19 though, is some process whereby what I would not like
20 to see happen is one utility in the world, where we
21 have two of them, one utility goes down one track, and
22 another utility, for whatever reason, let's say, for
23 example, doesn't have a Phase 2 filing for five, six,
24 10 years, and that utility does something very
25 differently over some period of time.

1 And, I think, if you take my suggestion,
2 this suggestion is driven largely by the notion of
3 creating a competitive -- level playing field amongst
4 businesses, who happen to have competitors who operate
5 at different utility jurisdictions. And what if the
6 Commission has, as a policy matter, wants utilities to
7 implement new structures, you should consider requiring
8 all utilities to do that in a utility specific filing.

9 But what we would not like to see is to
10 have PSCo do it in April and Black Hills, just to pick
11 on them, you can just --

12 COMMISSIONER TARPEY: They are the only
13 other one.

14 MR. NELSON: Black Hills do it in 2020,
15 and where you have this 10-year gap, where it was
16 because of utilities electing to make filings or not
17 make filings, the rate structures around the state are
18 vastly different.

19 COMMISSIONER TARPEY: Okay. You are not
20 suggesting that if we wanted to go forward with Public
21 Service, that we can't take any action until we get to
22 Black Hills.

23 MR. NELSON: No.

24 COMMISSIONER TARPEY: It may be a matter
25 of, they are spread about 36 months, two years,

1 something -- you are just saying that time period gets
2 too far apart.

3 CHAIRMAN BINZ: Paula.

4 MS. CONNELLY: There's a plural mechanism
5 that was used in the State of New York that went
6 something like this. The Commission would hold a case
7 with one of the utilities, and that case was ConEdison
8 and the Commission could decide the Phase 2 for
9 ConEdison, but they gave notice to all of the other
10 investor-owned utilities that, in the context of that
11 case, certain generic principles might be established
12 that they would -- the Commission would then want to
13 see replicated in the other utilities.

14 MR. NELSON: What, a group program?

15 MS. CONNELLY: It added a lot of time,
16 obviously, to the case. You don't want to do it every
17 time, but if there was something really important where
18 you wanted a new policy initiative, you could use that
19 device.

20 CHAIRMAN BINZ: Gets to Thor's points.

21 MS. CONNELLY: And, I think, to
22 Commissioner Tarpey's.

23 COMMISSIONER TARPEY: We could actually
24 go through that process with both utilities and come
25 out with one answer for Public Service regarding

1 time-of-use and give a chance to Black Hills, because
2 of its characteristics. . .

3 MS. CONNELLY: Basically, what would
4 happen, in that example, you would say, okay, we
5 decide, in the context -- let's say we go first with
6 our Phase 2, that you would like to see inverted block
7 rates for most residential customers, and that they
8 should be designed with the following things in mind,
9 okay, where the break points are, and some of the
10 concepts that Jim was talking about.

11 And then you actually determine, in our
12 case, where those breakpoints are. And then you give a
13 certain period of time to Black Hills to design
14 something using similar principles, but it would be
15 with their numbers.

16 MR. NELSON: The second point I wanted to
17 make, now, not to just defend Black Hills, but defend
18 every utility, is one of the challenges that we face in
19 a Phase 2 kind of proceeding, is to not adopt Public
20 Service -- if we have the idea of putting together a
21 time-of-use, and they have a particular methodology
22 that they want to use to do that, adopt -- or real-time
23 pricing that they want to do, what tends to happen in
24 these contexts, they then develop the economic
25 information, be they some marginal cost estimate or

1 whatever it is, to then derive the rates that they want
2 to have, that, then, creates a problem, because there
3 is only one study, one methodology that's been done.

4 And what you end up with is intervenors,
5 or the Commission itself, or its staff, might have
6 different ideas about information that would be helpful
7 that they haven't developed.

8 CHAIRMAN BINZ: Thor, your point is very
9 well-taken. It's a little off the mark in terms of the
10 merits of the rate design, which is really what I want
11 to talk about today, but I understand what you are
12 saying.

13 MR. NELSON: I am just saying
14 procedurally --

15 CHAIRMAN BINZ: Right.

16 MR. NELSON: -- if the Commission wants
17 to adopt new rate designs, and if you take up Roy's
18 suggestion that you provide feedback on the kinds of
19 rate design that you would like to see, I would request
20 that, as part of that process, you allow other
21 participants not only to identify the kinds of rate
22 designs that they would like, but the kinds of data
23 that they would like to see developed, so that, in the
24 context of the case that you are now contemplating, if
25 I understood your discussion, informing Public Service

1 Company how to file, included in that discussion is the
2 idea of the kinds of data that should be created, and
3 in allowing intervenors to do what they want to do,
4 then, that's a process that --

5 CHAIRMAN BINZ: We're all about due
6 process up here.

7 MS. CONNELLY: Let me suggest there are
8 practical limitations.

9 CHAIRMAN BINZ: Okay. I could not imagine
10 an issue like that -- sorry -- issue without that.
11 Thor, I heard you, because we're back to the merits of
12 the rate design issues, and, yes.

13 MR. CHRISS: Just a couple of things.
14 One thing that, I think, that's important for the
15 Commission to consider, when we get into the rate
16 design, is whether or not you care about revenue
17 erosion or earnings erosion, because they're caused by
18 different things. And this gets to the whole, you
19 know, I'm -- I mean, for years, you probably heard me
20 bang my drums about demand cost on kilowatt-hours. To
21 the extent costs that utilities earn money on are being
22 put at risk, that's going to make the problem worse.

23 And, so, if you are looking at earnings
24 erosion, you are going to want to look at ways to get
25 demand costs out of the kilowatt picture. Real-time

1 pricing, I think, if done right, does that, because you
2 have your customer charge, your demand costs over here
3 and, then, the stuff that's RTPed, that's just fuel.
4 So, that's the first point. I can't remember what the
5 second point was.

6 The second point is that when you are
7 looking at sending pricing signals -- we're having this
8 discussion about price signals, and the importance of
9 things like that. Well, the other thing that needs to
10 be ensured, going into the process, that each class is
11 paying their cost-of-service. We haven't been in a
12 Phase 2 rate case for Black Hills or Xcel, yet, so, I
13 don't know where the cross subsidies are between
14 classes, and I am sure OCC is steaming at me right now.

15 CHAIRMAN BINZ: I can tell you where they
16 are. They are in the mind of the beholder.

17 MR. CHRISS: But seriously. We set
18 rates, after adopting a cost-of-service study, in line
19 with recommendations of that study. You can argue with
20 the study and therefore conclude that there is cross
21 subsidy, but I don't believe this Commission has done
22 an other than equal rate of return per class.

23 MS. CONNELLY: We have equal rate of
24 return per class.

25 MR. CHRISS: Then that issue is taken

1 care of.

2 CHAIRMAN BINZ: Okay. I really want to
3 move to low income rates.

4 MR. JAMES: I want to backtrack just for
5 a second.

6 CHAIRMAN BINZ: Sure.

7 MR. JAMES: And respond to something that
8 Commissioner Baker had asked about with the carbon --
9 coming carbon costs and how that is going to be
10 allocated, or how it shows up in rates. And does that
11 impact what we're thinking about doing with a
12 time-of-use.

13 I would say, no, but time-of-use rates --
14 what time-of-use rates try to do is better reflect cost
15 of producing power by time frame. It tracks costs
16 better. If, however, those carbon costs are either
17 mathematically or scientifically or politically
18 allocated to different generation types, and different
19 times of day, that will be the cost. And, so, it may
20 be it mitigates some of that differential between the
21 on-peak and off-peak to some degree, but we shouldn't
22 be trying to arbitrarily set those levels, anyhow. It
23 should reflect what the costs are.

24 CHAIRMAN BINZ: Nancy.

25 MS. LAPLACA: I just want to --

1 CHAIRMAN BINZ: Very short comment.

2 MS. LAPLACA: Very short, of course. Not
3 all of the costs are included, so water usage, global
4 warming, drought, CO₂, the incremental damage, you
5 know, those are not included in costs, but, of course,
6 those costs exist. And I realize there's no way to
7 allocate them today, but that it's coming.

8 CHAIRMAN BINZ: Thank you. Also I know
9 Jennifer Gremmert has been waiting for this moment so
10 let's turn our topics to low-income electric bill
11 assistance. We have posited some questions here.

12 Just to catch you up, some of you, on
13 legislation, this Commission was granted authority to,
14 by the legislature, back -- yes, back in 2007, 2006, to
15 take into account, essentially, the income status of
16 customers in setting rates within boundaries. It's not
17 wide open. It's pretty actually narrowly tailored.

18 The Commission has yet to exercise that
19 authority. We have come close in one case, I guess, or
20 we're coming close in one case. Does the gas case rely
21 on that?

22 MS. CONNELLY: Uh-hum.

23 MR. PALMER: Yes, it does.

24 CHAIRMAN BINZ: Yes. So, we're
25 interested in exploring how rate design and bill

1 assistance fit together. You have seen some
2 illustrations on here. We've already talked about,
3 today, about the hypothetical low-income customer with
4 very large usage, large family, inefficient housing,
5 whatever, who might be disadvantaged by, say, an
6 inverted block rate. We also heard comments about the
7 400 kilowatt-hours, perhaps older widow or widower, who
8 needs no more than that, how that fits into it. So,
9 let's begin to weave that concept into our discussion,
10 about what is it that customers see.

11 We can start with some pretty bald
12 questions. Should this Commission exercise its
13 authority, under Senate Bill 22, to set different rates
14 for certain low-income customers than others. That's
15 about as balanced as it gets. Jennifer.

16 MS. GREMMERT: We would like a really big
17 program recovered fully by industrial customers.

18 CHAIRMAN BINZ: Okay. You just killed --

19 MS. GREMMERT: Just kidding.

20 CHAIRMAN BINZ: Thor is engaged.

21 MS. GREMMERT: I just wanted to give you
22 a heart attack.

23 COMMISSIONER BAKER: Or billable hours.

24 CHAIRMAN BINZ: If you don't know
25 Jennifer Gremmert, she's one of the brains behind

1 Energy Outreach Colorado, and most of the energy over
2 there, as far as I know. She's incredible. Personal
3 friend of mine, advocate for the low-income customers.

4 Jennifer, what is EOC's vision of this --
5 what this Commission should be doing with respect to
6 low-income?

7 MS. GREMMERT: Well, I think we would
8 like to really look at this in a rate design way. I
9 mean, I know we worked with all of the utilities in the
10 room and at one point or another. We want to
11 accommodate Public Service's processes and systems that
12 they have in order to accomplish this.

13 I think, what we are really concerned
14 about is the affordability, and how, in any future
15 changes and in pricing volatility, carbon tax,
16 renewable energy, all of those things are accessible
17 and available to the consumers that we care about, and
18 that we're doing it in a reasonable way, that's, you
19 know, fairly easy, because we know how complicated this
20 can be.

21 I think, from our perspective, we see
22 efficiency as an absolute, you know, coupling to what
23 we're doing, and we have integrated this into all of
24 our programs. I think we have to still look at energy
25 assistance, because of the needs of the consumers that

1 we have, and how those change -- the dynamics of the
2 customers that we serve change. We have some people
3 that need help every single year because their income
4 is never going to change. And we have people who lost
5 their job, and need help on a short-term basis. So, we
6 have got to look at this in multiple ways.

7 I think, in answering some of the
8 questions, define a low-income consumer, in order to
9 serve them, has been complicated over time. That's one
10 thing that we have done through legislation, in helping
11 the utilities, because if these -- if it's in a rate
12 design, we need to make it easy for the utility to
13 define those consumers. And we need to be able to
14 determine their income on a regular basis, because like
15 I said, it does change.

16 We need to achieve energy affordability
17 while also encouraging customers to use energy more
18 efficiently, I mean. And I think the biggest thing, we
19 just need to provide access to the programs that are
20 created, and we need to do it in a reasonable way.
21 That's been our position.

22 CHAIRMAN BINZ: Jennifer --

23 MS. GREMMERT: We would like the
24 Commission to help us do it.

25 CHAIRMAN BINZ: Did EOC have any

1 preference as between the different rate designs we're
2 talking about? Forget the low-income issue for the
3 purpose of this question. That's who your clients are,
4 but looking at your clients, do you have a preference
5 of rate structures?

6 MS. GREMMERT: No, we don't have a
7 preference.

8 CHAIRMAN BINZ: Okay. What's -- let's --
9 was that a hand, Thor? Thanks for saving me.

10 MR. NELSON: You looked like you were
11 looking for someone to say something. I am always here
12 for you.

13 CHAIRMAN BINZ: Yes. We all know that,
14 Thor.

15 MR. NELSON: For good or for ill.

16 From a practical perspective, I think
17 that there are two issues here, and we don't have a
18 position on whether or not sort of residential rate
19 design should be accomplished with low-income
20 objectives in mind. I mean, that's inherent within the
21 residential class, and we will leave that to the
22 discretion of the OCC and EOC and Commission, who are
23 far more obviously directly impacted by that than any
24 of my clients.

25 Where we do have an opinion, of course,

1 is where the issue with how this cost spills out from
2 rate design and into, in essence, cost allocation, by
3 creating a revenue shortfall recovery mechanism that,
4 then, is assessed on a lot of different customer
5 classes, including the ones that my clients buy from.
6 And from a starting point, I guess, it's important to
7 say that the answer is probably not sort of, hell, no,
8 we won't go. I think that my group has been willing to
9 consider such things as the differential application of
10 DSM charges to low-income customers. That's one of the
11 issues that we have talked about and endorsed doing.

12 And, so, I think that we recognize that
13 some degree of low-income protections can be managed.
14 The obvious and important question is, sort of how
15 often can you do that before you get to be excessive.
16 And I don't know that I have a good answer to that. I
17 would say that we would draw the line at low income
18 being defined as residential and no low-income banks
19 being assigned a larger energy charge because they
20 can't afford their electric bills.

21 MS. CONNELLY: We're already bailed them
22 out.

23 MR. NELSON: They get their bail out on
24 one level. They have to pay their full rate on the
25 electric side. One of the things, though, that I would

1 suggest is that in the cosmic scheme of things, I think
2 we would have a preference towards taking money that is
3 being generated from nonresidential low-income
4 customers, and targeting that towards improving
5 efficiency as opposed to paying the monthly bill; that,
6 in the balance of things, our preference would be to
7 assist more with helping the efficiency issue than just
8 adding to a discount on the bill. We think that that's
9 a wiser way of spending the resources that creates
10 less, sort of long-term disruption in the market.

11 So, as that relates to the fourth of your
12 bullet points, I just want to make that point.

13 CHAIRMAN BINZ: I want to observe and
14 declare, so we get this out in the open, that the
15 Commission is now -- actually tomorrow -- will take up
16 exceptions in a decision in which I was Hearing
17 Commissioner on, this Public Service Phase 2 rate case,
18 gas. And some of these issues we've talked about,
19 right now, are perilously close to those issues, so we
20 would rather that you not touch on them now. Okay.

21 Who had their hand up? I'm sorry. Right
22 here.

23 MS. HART: I have a question for Xcel.
24 How do you define low-income utility customer?

25 MR. PALMER: I don't think it's up to

1 Xcel Energy to define that. We don't want to
2 administer -- we don't want to be the ones choosing who
3 is low-income, who is not. We're willing to run a
4 low-income program, if this Commission orders it, but
5 we don't want to be in the business of trying to sort
6 out who qualifies. We believe that someone else should
7 do that low-income eligibility determination, and,
8 then, let us know. And we would run the program in
9 accordance with how it's designed, but we don't think
10 that that's our -- necessarily our best sweet spot, is
11 to define low-income eligibility.

12 MS. CONNELLY: Or our call.

13 MS. GREMMERT: We would agree.

14 MR. GRAY: Seconded by Black Hills Energy
15 also.

16 CHAIRMAN BINZ: Okay. Dennis Senger was
17 next, I think.

18 MR. SENGER: Couple of things that kind
19 of describes our position. From my perspective, the
20 worse of all possible worlds, in terms of doing a
21 low-income program, is doing it the way that I'll call
22 it the, "California model," which is you have an
23 inverted rate structure that's defined as some way of
24 giving away a -- or giving away, very cheaply, a
25 certain amount of electricity, in some way, to the --

1 that's going to help low-income customers. Well, it
2 does help low-income customers, it helps all customers.
3 But they will -- somebody has to pay for that. And
4 some of the people who are paying for that are also
5 low-income customers. We do not think that's a good
6 model and would not recommend it.

7 Our position, as we have outlined it,
8 something we would like at this point in time, we would
9 like to see the results of the program that Public
10 Service Company has proposed. We think that's at least
11 a reasonably good model to start with. And to
12 counteract what Thor said, just as he indicated that he
13 doesn't really want industry customers to pay for
14 low-income programs. Well, nobody wants to pay for
15 low-income programs.

16 MR. NELSON: I didn't say that.

17 MR. SENGER: You said --

18 CHAIRMAN BINZ: I see you two taking that
19 outside.

20 MR. SENGER: The only point is there
21 is --

22 MR. NELSON: We're on record now.

23 MR. SENGER: It doesn't necessarily have
24 to be a class by class thing. There is a good reason
25 why that should be dealt with as a -- by all customers.

1 CHAIRMAN BINZ: So, for the record, Thor
2 Nelson does not endorse the interpretation of his prior
3 remarks. All right. Sharon.

4 MS. PODEIN: I just have a question for
5 Jennifer.

6 CHAIRMAN BINZ: Stand up so we can hear
7 you a little bit.

8 MS. PODEIN: I had a question for
9 Jennifer. And I'm wondering how important it is for
10 you, if the Commission develops this kind of rate
11 structure, to support low-income families, that it be
12 transparent? And are you interested at all in tracking
13 the amount of money coming in from different sources
14 that go to low-income subsidies and the number of
15 families and presenting a comprehensive look at what
16 we're doing in all different areas?

17 MS. GREMMERT: Yeah. I would say we
18 would, you know, appreciate full transparency and we do
19 that now. We track by utility. We have a pretty
20 sophisticated data base to know who our low-income
21 customers are, who their gas provider, their electric
22 provider, what dollars come in, what dollars go out,
23 when they need help, why they need help. It's very
24 challenging to do. It's trying to sense behavior based
25 on the benefits.

1 And, so, I think that's something that we
2 have been looking at. We're seeing how other states
3 are doing it. But I think we're really open to that.
4 We want to know what is going to be the best thing,
5 that's going to provide the best consumer behavior. I
6 think one of the changes to that we have is that we
7 really need our consumers to pay their bills, and we
8 need them to pay a bill that they can afford. And, so,
9 we want to create that opportunity. We don't want to
10 create a complete subsidy for people so they don't have
11 to pay their bill for the commodity that they use. We
12 recognize that. But it doesn't serve anybody if they
13 are constantly on and off service.

14 And so bills are high -- I mean, we're --
15 I was saying to somebody it's hard for us to raise
16 money when it's 65, 70 degrees, thinking about what's
17 going to happen, but we're still seeing really high
18 bills, and people suffering as a result of that. So we
19 got to look at the balance of it. We're looking at
20 400,000 eligible households. The eligibility right now
21 is defined at 185% of Federal poverty for a family of
22 four -- that's a maximum income of about \$40,000 -- to
23 receive any kind of assistance, as defined by the
24 state, you know, program, just so people get a
25 perspective. So it's about \$18,000 for a single person

1 to qualify. And our average income of the people we
2 serve is about \$15,000 a year.

3 CHAIRMAN BINZ: Thank you.

4 MR. MELAMED: My name is Paul Melamed.
5 I'm with VisionSun Design, and I am a solar energy
6 consultant that works with housing authorities. And
7 one of the things I would like to sort of -- it's not
8 really related to rates, but for programs, for
9 low-income housing, is to make the Commission aware of
10 what California also just recently enacted on their
11 multifamily affordable housing program, as part of the
12 solar program systems, CSI, the California Solar
13 Initiative, where they have allocated 10% of the
14 funding for that program, for solar, to low-income
15 housing. And half of that is going, now, to multiple
16 family low-income housing, where there is a whole
17 program set in place that if energy efficient measures
18 have taken place on those buildings, then they are
19 eligible for a whole separate set of rebates, solar
20 rebates, that's a different amount from the residential
21 CSI rebates. And, so, the objective is to try to get
22 the advantages of solar energy to low-income housing,
23 which, in essence, is going to be reducing the amount
24 of dollars that they are paying for their utility
25 bills.

1 So, I can give this document to you so
2 you can look at that. But basically the structure is
3 that there is a two-tier rebate program. So, for
4 common areas, the rebate is \$3.15 per watt. For tenant
5 areas, it's \$4 per watt. And there is -- the other
6 very interesting aspect of this is that they want --
7 they have incorporated a virtual meter, so instead of
8 having to allocate energy uses by the meter itself, you
9 can create one large system for multiple housing, and
10 allocate what percentage of that energy exceeded by the
11 solar goes to the various portions of that. So, it's
12 sort of an interesting concept, which, in essence,
13 saves dollars, because you don't have to then put
14 inverters on each individual meter. So, it brings the
15 cost down.

16 CHAIRMAN BINZ: Thank you. And we would
17 like to have that document.

18 MS. GREMMERT: Last comment because we've
19 been monitoring that work that's being done in
20 California, and, I think, one of the challenges that
21 we're dealing with is the financial piece of it,
22 because, for multifamily affordable housing, the under
23 10-kW systems can't be owned by a third-party, but yet
24 we can't finance without having third-party ownership.
25 The over 10 kW systems, the rebates are paid over time,

1 and investors want to have the benefit right away. So
2 those are just some of the pitfalls that we run into
3 with placing those kind of systems on low-income homes,
4 either single families or multifamily.

5 We have been pursuing through our local
6 grant program and work with the Governor's Energy
7 Office to do that. We have been working -- and Xcel
8 helped us pioneer this program, nonprofit energy
9 program, that we're doing, funded out of a lot of DSM
10 programs, which is retrofitting affordable houses.
11 It's a problem where it's a mass metered.

12 So, the organization has been paying the
13 bill. That's another thing, just to think of. There
14 are individuals that they pay the bill, and they get
15 the individual benefit, but for large organizations
16 that house folks, they haven't been able to get any
17 assistance. And so we're seeing large nursing homes
18 all of a sudden running into bill payment problems and
19 things like that. And some of those efficiency
20 programs are making real headway in helping those
21 problems.

22 CHAIRMAN BINZ: Thanks, Jen.

23 MR. MELAMED: Another example here, with
24 the recent reduction in the solar REC payment by Xcel
25 Energy, from 2.50 down to 1.55, and a large part of the

1 reasoning was because the investment tax credit for
2 residential was -- the \$2000 cap was the limit. Well,
3 for nonprofits that doesn't do any good. So, we have
4 lost.

5 MS. CONNELLY: Please, check out the
6 filing that we made yesterday.

7 MR. MELAMED: Okay. That's good. That's
8 good news.

9 MS. CONNELLY: We are going to offer a
10 higher REC payment for tax exempt entities, to equalize
11 it with the tax credits.

12 MR. MELAMED: The point is, it's sort of
13 different conditions for low-income housing, so a
14 separate program should be looked at.

15 CHAIRMAN BINZ: I want to ask one
16 question, which could be the closing question. Howard.

17 MR. GELLER: Thank you. I thought I
18 would mention what, I think, is a fairly unique
19 program, the pay-as-you-go-meter program the Salt River
20 Project has implemented on a large scale for low-income
21 households. It's an optional program. No one is
22 forced to take these meters. The idea is that you have
23 a radically different approach to paying for
24 electricity, if you take the meter. You purchase
25 cards. There's kiosks all over town in the Phoenix

1 area, where people can buy their \$10 or \$20 card and
2 charge up their meter, as they go along.

3 And the meter also provides feedback on
4 how much electricity is being consumed, how much is
5 left on the charge, and, so, on. And it's something
6 that I think close to 100,000 customers have opted in
7 for, and apparently find very helpful for managing
8 their electricity use, their electricity bills. After
9 a while -- we buy a lot of things on a pay as you go
10 basis, food, gasoline and so. The electricity and
11 natural gas are quite different from the way most
12 people buy a lot of their major purchases. It has,
13 apparently, has a conservation impact as well. It
14 looks like the studies that have been done kind of pre-
15 and post-changing to this system, and showing about 10%
16 savings, close to 10% savings per household. Might be
17 something to take a look at, as yet another innovative
18 metering combined payment approach.

19 CHAIRMAN BINZ: Howard, is that
20 susceptible to sort of a food stamp treatment? I mean,
21 in other words, can these cards be printed by agencies
22 and distributed to their clients, do you know?

23 MR. GELLER: I don't know the answer to
24 that. I would guess they can be bought and handed out,
25 if one wanted to. If it was --

1 CHAIRMAN BINZ: I didn't mean literally
2 the printing.

3 MS. GREMMERT: LaPlata Electric had a
4 prepaid program for quite a while, and Europe used it
5 quite a bit too. You run into people who just don't
6 get to use the commodity, because they don't have
7 access to it. It has positives. It also has
8 negatives.

9 MS. CONNELLY: Does the power go off when
10 the card runs out?

11 COMMISSIONER BAKER: Nobody has to shut
12 it off.

13 MS. GREMMERT: It saves the utility money
14 in the long run. It's like the cost of the meter, and
15 then the idea is, you know, that people -- but you are
16 looking at the usage. So when you know you aren't
17 going to be able to to do your laundry, do you run your
18 refrigerator? You have an idea. It provides a basic
19 service, I think, from our perspective.

20 When we have looked into it -- because
21 this is something we have looked into it. It's just,
22 when you look at the studies that have been in England
23 for a long time, you know, it's used for the low-income
24 folks. And then they don't have access to basic
25 service.

1 MR. GELLER: My understanding is that in
2 the Salt River Project in Utah, I believe, for the
3 people in the program, if someone wants to go back to a
4 normal meter, and normal system, the utility will do
5 it.

6 CHAIRMAN BINZ: Howard, if you can
7 provide us some information on that, that would be
8 great.

9 MR. GELLER: Okay.

10 CHAIRMAN BINZ: We have two different
11 topics left, and I would like to try and finish in the
12 neighborhood of 4:30 to 4:40, if we can. So, let's
13 spend as much time as needed up to 15 minutes, on the
14 next topic.

15 I think you probably all know the
16 background on this topic. I'll sketch it quickly.
17 During the PUC sunset bill, last session, Senator
18 Schwartz noted that she had constituents in the San
19 Luis Valley who had installed solar systems, and
20 therefore qualified for net metering, only to figure
21 out, after the fact, that they were on the SG, which is
22 a demand energy rate. So their meter spins backwards
23 at about 3 cents a kilowatt-hour. They were above the
24 25-kilowatt threshold, which mandates that you be in a
25 demand energy rate class.

1 She was interested in the Commission
2 exploring whether it was possible to ameliorate that
3 problem, but more generally, she asked us to look at
4 how rate structures relate to the installation of the
5 solar system, or renewable energy systems in an
6 agricultural setting. I don't think we're restricted
7 to -- but that's something we must do, actually, under
8 the amendment to our sunset bill. That's the precede
9 to the discussion on that.

10 Several, but not everybody, filed
11 comments on this. I know Public Service Company did
12 and then and the -- San -- OCC made --

13 COMMISSIONER BAKER: It was a citizen
14 group.

15 CHAIRMAN BINZ: I lost -- they are not
16 represented here today, but, anyway, that's the topic.
17 Help me satisfy our statutory obligations by talking
18 about this, okay? Dan, do you want to start?

19 MR. JAMES: No.

20 CHAIRMAN BINZ: I thought you said.

21 MR. LYNG: I am with the Governor's
22 Energy Office.

23 CHAIRMAN BINZ: It's Monte Vista
24 Cooperative, is who it was. Thank you, Jim.

25 MR. LYNG: Thank you, Chairman Binz. We

1 feel that this is a problem that we have been
2 confronted with on multiple fronts. This San Luis
3 Valley solar agriculture pivot problem is exactly as
4 you described it, where those participants were misled,
5 misinformed, that perhaps their savings would be
6 something on the order of what residential customers
7 would see, because they are paying something on the
8 order of maybe 8 cents a kilowatt-hour. But as you
9 note, their energy charges is less than half of that.
10 And therefore their savings has been on the order of
11 about half of what they had expected.

12 So, while we certainly agree that this is
13 a problem that is facing agricultural applications, and
14 particularly water pumping, irrigation, these sorts of
15 things, our position is that the secondary general
16 rate, in a broader context, should be investigated for
17 larger distributed generation customers above a 25-kW
18 load.

19 And I would just further add that we
20 would like to have, perhaps, some discussions -- and I
21 believe what you are trying to do is make sure the
22 questions are right here, that you are getting the
23 questions right. We would like to see some discussion
24 soon, perhaps, about recovering a portion of those
25 fixed charges for generation, transmission and

1 distribution, not just in the demand charge but
2 shifting a portion of them over to the energy charge to
3 more equitably compensate those customers that have
4 invested in distributed generation.

5 We feel those customers are providing
6 some benefit to the grid, and that probably needs, yet,
7 to be quantified, but that they should be compensated
8 at a higher rate than the secondary general rate
9 currently compensates them at.

10 CHAIRMAN BINZ: Jeff, is your proposal to
11 create a rate only for customers with distributed
12 generation such as solar, or is it to apply to
13 everybody in the SG rate class? Have you thought about
14 that?

15 MR. LYNG: We have. And I think what we
16 would propose is something like a secondary general
17 distributed generation, an SG/DG rate, wherein SG
18 customers above a certain threshold can opt into a DG
19 modified SG rate.

20 CHAIRMAN BINZ: Okay.

21 MR. LYNG: Thanks.

22 CHAIRMAN BINZ: Thank you.

23 MR. CHRISS: Are the customers to which
24 this applies on SG rate? Are they low load factor?

25 MS. CONNELLY: Yes.

1 MR. CHRISS: They are already
2 receiving --

3 CHAIRMAN BINZ: Hold on. One at a time.

4 MR. CHRISS: If they are low load factor,
5 then they are only receiving, to the extent that there
6 are demand costs on the kilowatt-hours basis, and in
7 SG, they are already --

8 CHAIRMAN BINZ: There are no --

9 MR. CHRISS: -- on SG rates.

10 CHAIRMAN BINZ: If they're low load
11 factor, they are paying demand charge and energy charge
12 that's available by their demand, today. If they are
13 low load factor, chances are their per kilowatt-hour
14 charge is quite high. Are we on the same page?

15 MR. CHRISS: I am just trying to remember
16 what the SG rates look like.

17 MS. CONNELLY: The demand energy rate.

18 CHAIRMAN BINZ: \$9 plus 3 cents.

19 MR. CHRISS: Yes. But in broad theory,
20 theoretical sense, if you are low load factor, you are
21 actually receiving a subsidy for your demand costs
22 anyway.

23 CHAIRMAN BINZ: No. I don't think that
24 assumption is correct. If you are a low load factor
25 customer, and you're on kilowatt-hour rates, that might

1 be an argument, but I don't think it is here.

2 MS. CONNELLY: There is a rate in our
3 books that low load factor customers can opt for.

4 Basically --

5 MR. JAMES: Normally SG customers can opt
6 for the SGL rate.

7 MS. CONNELLY: That would -- it caps
8 their ultimate cents per kilowatt-hour rate. But the
9 issue we have raised by Jeff, of course, that we were
10 very reluctant to go to a full kilowatt-hour only
11 charge in combination with net metering, because then
12 we are not recovering the appropriate costs from that
13 customer for our distribution system investment.

14 COMMISSIONER BAKER: I am probably going
15 to mangle this, because I can't actually find the brief
16 from the Solar Alliance; that they make the case -- I
17 think it was one that came yesterday. Go to somebody
18 else, so I don't mangle it.

19 CHAIRMAN BINZ: Who else wants to talk
20 about this issue? John.

21 MR. COVERT: Are you going to talk to us
22 today? I am here mostly to learn --

23 CHAIRMAN BINZ: That's fine. I don't
24 know if you intended to address this one.

25 MR. COVERT: No.

1 CHAIRMAN BINZ: Jim, let's see what Jim
2 has got to say.

3 MR. LAZAR: I am going to just, as a guy
4 that worked on the rate design for 34 years, first of
5 all, the SG rate is a very typical rate. There is
6 nothing unusual about it. There is rates like it
7 everywhere in the country and the situation has been
8 described, a solar net meter customer is only going to
9 get the energy benefit if you roll a generation
10 component of demand charge into the on-peak energy
11 charge, and put that customer on a time-of-use rate.
12 First of all, their solar system is going to be reverse
13 metering typically, during the on-peak period, and that
14 will give them more benefit. And they will be
15 consuming relatively little during the on-peak period,
16 because the solar system will serve their own load
17 first during that period.

18 That might be a way -- the time-of-use
19 rates might be a way to accomplish that. And a lot of
20 utilities, with time-of-use rates, and wholesale market
21 generally, rolls the generation demand charge into the
22 on-peak energy rate. That's how wholesale markets work
23 that typically, you know, energy only. As so it's a
24 very typical rate design. It's the way the spot market
25 works. That might be a way to approach this problem.

1 CHAIRMAN BINZ: Paula.

2 MS. CONNELLY: The wholesale market isn't
3 dealing with substantial distribution investment.

4 MR. LAZAR: That's why I said the
5 generation components -- did I say charge?

6 MS. CONNELLY: On the generation
7 component.

8 MR. LAZAR: I said -- specifically said
9 generation component, because the distribution
10 component is very much there, and unlike urban
11 customers, rural customers don't share distribution
12 facilities. They tend to be customer specific.

13 CHAIRMAN BINZ: Roy.

14 MR. LYNG: I would just like to respond
15 to that, briefly. We would like that the distribution
16 and transmission, especially for larger system
17 components, be considered.

18 MS. CONNELLY: I can't hear you, Jeff.

19 MR. LYNG: To be considered in terms of
20 recovering a portion of those fixed costs in the energy
21 charge. And you mentioned the generation piece. I
22 think, we don't yet know, but there have been studies
23 in other parts of the country on the benefit of avoided
24 substation infrastructure, and line infrastructure
25 upgrades associated with large scale distributed

1 generation. And Public Service has done their own
2 study a few years ago, so we would site to GT&D to be
3 part of that discussion, not just generation.

4 CHAIRMAN BINZ: Roy.

5 MR. PALMER: I was going to say, for the
6 people in the room that aren't rate design gurus --
7 I'll put myself in that group -- it's important to
8 understand that, you know, as you carve up this pie,
9 and create public policy benefits, either for
10 irrigators or distributed generation or solar
11 customers, you push those costs around the backside,
12 you know, the utility always wants to come out whole.
13 So, what we are really talking about here is the wisdom
14 of rate design that would favor a public policy
15 objective.

16 And I don't know a better way to say it,
17 but in the simplest terms, that's what we're talking
18 about. The rates are all designed now, at least as
19 best we all thought they could -- the people that
20 designed them before me -- to be equitable, exactly
21 cost-based for everybody, based on what they incur on
22 the system.

23 CHAIRMAN BINZ: One thing I would like to
24 hear, how are we going to crack this nut -- and maybe
25 the answer is we walk away from it -- what process

1 ought we use for this? Another Phase 2 Public Service
2 Company issue? Is it something outside of that? I am
3 asking out of, you know, ignorance, or I am wide open
4 on this. Anybody want to pitch an idea on that?

5 MR. JAMES: I think -- Dan James. It may
6 go beyond a Phase 2 Public Service issue or Phase 2
7 utility issue, because we'll be looking at the
8 interaction of net metering requirements and certain
9 types of rate designs and end-uses that might be on
10 those rate designs. So, I think it has to be probably
11 a little bit broader, if we're really going to, as you
12 say, crack the nut, because there may be some
13 legislative issues and rule changes and maybe stepping
14 back and looking at this from a little different
15 perspective.

16 CHAIRMAN BINZ: I want to add to that by
17 answering the gentleman's question. These may not be
18 low load factor customers. Those center pivots go
19 around the clock. They could be relatively high. Now,
20 their load looks a lot different when you add solar in
21 8 hours a day. And if they have a cloud transient come
22 through, and you hit your peak, well, under my
23 assumption, you've hit your peak anyway, so I'm cutting
24 against my own assumption, but the point is that I
25 think there's a interrelationship of the type of load

1 that is served by an SG, on a SG rate, where there is
2 distributed generation. I think that complicates it
3 considerably.

4 MR. CHRISS: Does Xcel have an
5 agricultural rate?

6 MS. CONNELLY: No.

7 MR. PALMER: We used to, I'm told.

8 CHAIRMAN BINZ: Yes. You did. Paula
9 then Jeff then Thor.

10 MS. CONNELLY: When you say, "crack this
11 nut," do you mean, how do you respond to the statutory
12 directive to do something about this?

13 CHAIRMAN BINZ: Yes.

14 MS. CONNELLY: You have to really
15 consider a couple of issues. The first is the RES
16 rules that we have now. Now, of course, you have a RES
17 rulemaking pending, but there are certain rules that
18 lock in what we are doing now. There is a rule that
19 says that we can't change the rate that a customer is
20 on, simply because they have put solar panels on, all
21 right? So, there -- you have got a SG customer putting
22 solar panels up, they're still charged the SG rate.
23 There's a rule that says all customers are entitled to
24 net metering. So, we got net metering, you know, lots
25 of these things are dictated by the current rules.

1 So I think one issue -- you might want to
2 address this issue in the rulemaking by determining
3 whether or not some of those rules should be relaxed.

4 CHAIRMAN BINZ: That's very good counsel.

5 MS. CONNELLY: Then second, to the extent
6 that you want to talk in terms of an overall change to
7 the SG rate, you've heard some views -- that I don't
8 think our views are the same as the views expressed by
9 Jeff Lyng, but, certainly you could discuss Public
10 Service's SG rate design in our Phase 2 case.

11 CHAIRMAN BINZ: Thank you.

12 MS. CONNELLY: You might have to give us
13 more flexibility first in the RES rulemaking.

14 CHAIRMAN BINZ: Uh-hum. Jeff.

15 MR. LYNG: Thank you. Well, it seems to
16 me there are really kind of two issues here; that this
17 kinds of shakes out into two beasts, for me, anyway.
18 You got the farmers and in the San Luis Valley, who
19 through whatever means, were misinformed.

20 CHAIRMAN BINZ: We're not going there.
21 This isn't about that.

22 MR. LYNG: Okay. So, in my opinion,
23 there's a need for education so that people know when
24 they are investing in solar, truly what rate they are
25 getting. And in the other, whether or not there is an

1 appropriate system benefit to more adequately
2 compensating SG/DG customers, to use that phrase. And
3 I would -- I wonder if, in order to have an articulate
4 conversation about how much of those fixed charges
5 ought to be recovered in the energy charge, if we don't
6 need kind of a systems benefits study that looks at
7 various costs of distributed generation, and the
8 relative benefit to the overall ratepayer, in order to
9 determine a percentage.

10 And I fully agree with what Paula has
11 already said, and I don't think that's what we are
12 discussing or advocating for, from the GEO, is a
13 transfer of all of the fixed costs over to the large
14 commercial. What we're talking about is sort of
15 leveling that playing field a little bit more.

16 CHAIRMAN BINZ: Commissioner Baker.

17 COMMISSIONER BAKER: How sophisticated
18 are the SG meters? Are they just regular dumb meters?

19 CHAIRMAN BINZ: Maximum demand.

20 MS. CONNELLY: Demand energy.

21 MR. JAMES: Unless they are above 300 kW.

22 COMMISSIONER BAKER: You can't do
23 real-time pricing on the SG meter?

24 MS. CONNELLY: No.

25 COMMISSIONER BAKER: You would have to

1 put money into it.

2 CHAIRMAN BINZ: They are not meters which
3 were designed to serve that load. You can't do it.

4 COMMISSIONER BAKER: Okay.

5 CHAIRMAN BINZ: Who knows. There may be
6 some meters -- ones that are on SG, but, of course, the
7 meter cost in this case is probably not going to be the
8 determining factor.

9 COMMISSIONER BAKER: Then this might be a
10 question that, Jeffrey -- might be just a comment --
11 but it might be easier to tackle this, well, to look at
12 the issue of system distributed generation within
13 agriculture differently, for the reasons that, you
14 know, there may be more benefit to having distributed
15 generation, because it tends to be far away from
16 generation, they tend to have lots of spaces, tends to
17 be a better resource there. That it might be
18 appropriate to look and -- I have no opinion on this,
19 but through the RES rules, or something else that gets
20 at the issue of looking at it from an agricultural
21 perspective as opposed to looking at it through an SG
22 perspective.

23 CHAIRMAN BINZ: Thor.

24 MR. NELSON: I guess I just would, I
25 think, be a little bit supporting of what Paula just

1 Commission to make it broader than agricultural,
2 because it does apply to all of these systems. I mean,
3 it's on the Denver Performing Art Center. It's on the
4 Convention Center. It's on Boulder Community Hospital.
5 These midsized systems have the same problem. And is
6 there any benefit to having distributed generation.
7 And so, I would just -- it happens a lot in any kind of
8 midsized category, so I would broaden how you guys
9 think about it. That would be greatly appreciated.

10 CHAIRMAN BINZ: Paula.

11 MS. CONNELLY: I am struck about the
12 juxtaposition of those two issues, the low-income issue
13 and then the agricultural issue, because everybody has
14 to keep in mind that the ratepayers, as a whole, are
15 already providing a very large subsidy to the solar
16 installation that is then primarily owned by the
17 customer who has the solar. And, so, you already have
18 that subsidy going, paid for all by all of the
19 customers, including the low-income customers. And
20 then to provide an additional subsidy by changing the
21 rate design, whether or not that's with public policy
22 or not, that has to be factored into the equation.

23 CHAIRMAN BINZ: On that upbeat note,
24 let's move to the -- thank you, Paula. Anything else
25 on this? Thanks for your thoughts. I suspect we may

1 hear more about this in another proceeding, at a
2 different time.

3 The last issue, which is -- we can spend
4 as much time as we want to, up until 10 minutes to 5,
5 hopefully less than that, contents of bills, level of
6 detail regarding adjustment factors, more generally,
7 bill information format. We have heard from Jim Lazar
8 on that, I thought, a good way of kicking this off.

9 So, we ground this ax in several dockets,
10 I believe. I'm not positive what is ahead for us
11 today, but we're open for comments. Everybody like
12 their -- let's pick on Black Hills. Does everybody
13 like Black Hills bill?

14 COMMISSIONER TARPEY: I have no problems
15 with it.

16 MR. IVERSON: Mr. Tarpey is the only
17 customer in the room.

18 CHAIRMAN BINZ: How do your customers
19 like your bill, your bill format?

20 MR. GRAY: They like it smaller, less
21 digits.

22 CHAIRMAN BINZ: Yeah.

23 MS. HART: I personally love his bills.
24 My brother lives in Pueblo and they are fantastic.
25 They are simple and easy.

1 MR. GRAY: What we have tried to do with
2 our bill was for the customers that just want the nitty
3 gritty, how much do I owe, when is it due, we have got
4 our messages, we got the front section, when was the
5 last payment. Here's this month's bill total amount.
6 Here's when it's due. That's it. And I would imagine
7 most customers are interested in this.

8 And when I get my phone bill, and it's
9 five pages, I look at the front, how much do I owe,
10 when is it due. On the back is where the bill
11 information is, you know, meter reading, how much did
12 you use, customer charge and demand charge, GRA, two
13 ECAs, renewable energy standard, you know, all of those
14 pieces.

15 From a rate design section, I am
16 frustrated with the general rate adjustment line,
17 because our tariffs say our customer charge is this,
18 but we're going to take that amount times our 6.93%
19 from our last rate case, to me, that's really what your
20 customer charge is.

21 I was somewhat amazed. Public Service
22 wants their GRA to go to 32%. So, it's kind of like,
23 here's your customer charge, but, then, there's 32%.
24 Well, that's a big chunk. And at what point do we say,
25 you know, in the three years past, you've given us the

1 6.93% in revenue, why can't we just change our tariff
2 to instead of saying, \$10, it's \$10.69, because that's
3 truly the customer charge. That's, you know, so you
4 take the energy, all of it.

5 And line items don't really tell you
6 where that numbers comes from, because it's just, you
7 owe 1.32 for the retail. Which lines does it apply to?
8 It applies to these and not to that. if not 34 years, I
9 got 22 years, so, to me, it's confusing. So I just
10 wonder, from a customer's perspective, maybe they like
11 the front summary, I owe \$33, here's my check, and I
12 throw it away.

13 CHAIRMAN BINZ: Thor Nelson.

14 MR. NELSON: Well, just to offer up an
15 observation, from the standpoint of my client group, we
16 prefer more information on the bill. And we like
17 having the detailed line item by line item of what the
18 different parts are, their totality, because that
19 allows the people that manage those bills to be more
20 precise about when, in the course of their budgeting
21 year, different pieces change, because the timing
22 cycles are all different.

23 And, so, while there is a measure of
24 simplicity that I'm sure some smaller customers
25 appreciate, for at least our perspective purposes,

1 having the very detailed breakdown of the bills is
2 helpful and appreciated.

3 CHAIRMAN BINZ: Roy, do you want to give
4 us a grasp of where you are headed on bills as far as
5 you are concerned?

6 MR. PALMER: I think there's a general
7 sense, at least from our company, we would like to make
8 the bills simpler to read. I would like the version
9 that Black Hills was talking about, where there was
10 just a summary on the front, for the 94% of the people
11 that aren't like Thor, and his customers, don't want to
12 read all of the detail. It's quick and easy. So,
13 we're very interested in billing redesign. We want to
14 be cognizant of the systems.

15 But in terms of a lot of the line item
16 detail, I mean, some thoughts, and possibly collapsing
17 some of that detail into, you know, a public benefits
18 charge, which would have a lot of the components that,
19 if you wanted to dig into the detail, you could see it.
20 That might be a way to simplify the bill.

21 CHAIRMAN BINZ: And you are thinking to
22 have --

23 MR. PALMER: Put maybe fuel in another.

24 CHAIRMAN BINZ: Are you referring to
25 mostly residential bills?

1 MR. PALMER: I am talking mostly
2 residential bills.

3 COMMISSIONER BAKER: Have you guys done
4 focus groups on bills, either of you?

5 MR. PALMER: The answer is yes. We're
6 all looking at each other.

7 MS. CONNELLY: We don't know what the
8 answer is.

9 MR. PALMER: I know we have done a lot of
10 work on our bills.

11 CHAIRMAN BINZ: Nancy.

12 MS. LAPLACA: I submitted a report that
13 was done by PSCo. It was a PSCo focus group that was
14 done in 1997, with a fairly minimal amount of research.
15 And one of the guys actually at RAP, on-line, directed
16 me to a database and said, here, read these five
17 studies. And, actually, I only read three of them.
18 One of them included a study that was all of PSCo's
19 customers, and I included that in my filing.

20 And, basically, the people want that
21 information and when they have that information, they
22 want piechart displays, they want something to relate
23 it to. They are not energy experts. They want to be
24 able to relate it to some kind of national average, and
25 they want fuel mix, and they want emission information.

1 And I submitted three studies in my
2 filing, and a reference to all of the others, but,
3 coincidentally, one of the studies was on PSCo
4 customers in Denver. And people want that information,
5 and they -- I came up with it myself. So, anyway, it
6 speaks for itself, but it's there.

7 MR. JAMES: I agree with that. The bills
8 are overly complex. And another disappointing fact on
9 bills, you can't take a bill with no other information
10 and calculate it. You have to look to the tariff
11 sheets and hunt up this, that and the other thing. You
12 should be able to look at your bill, and be able to
13 calculate the answer from what's on the page.

14 But one other caution, talking about
15 what -- we're proposing to have a fairly substantial
16 GRSA coming up here pretty soon. If you do as
17 suggested, take that 16%, 32%, whatever the percentage
18 number is, and just start applying that to the pieces
19 of the bill, and saying, well, here's what our tariff
20 should be for our customer charge, instead of \$10,
21 10.69, whatever it is, at some point you are going to
22 do a Phase 2, and, I assume, and those system costs are
23 going to maybe not be anywhere near 32% times whatever
24 your customer charge is. Probably your customer charge
25 isn't going to change that much.

1 So, just from a customer's, you know,
2 keeping their bills kind of the same month after month,
3 not having pieces bounce around a lot, it might be
4 better not to do -- just apply the GRSA right away.

5 CHAIRMAN BINZ: Roy, I get more frequent
6 Phase 2 rate cases.

7 MR. JAMES: Not necessarily. That's the
8 Phase 2, gets all of those pieces back right again.

9 MR. GRAY: With Public Service. For
10 Black Hills, we had the GRSA, and then we did the Phase
11 2 in our cost-of-service study, that our customers
12 charge should be this, but we have a different amount.
13 So, we did do that. All right. Let's just say what it
14 is and not it's this. But we bumped it, tweaked it,
15 this percentage, because we have just come out of Phase
16 2, so we haven't had another revenue case. So, that's
17 what it is.

18 MR. PALMER: Yeah.

19 MS. CONNELLY: Ours will look like that
20 after the Phase 2.

21 CHAIRMAN BINZ: Let's also agree, I
22 think, that it's up to the proposed utility how you
23 want to implement this. I don't think we have a rule
24 requirement for GRSA, do we Bob?

25 MR. BERGMAN: (Shaking head in the

1 negative.)

2 CHAIRMAN BINZ: If you want to file a
3 tariff that says this is the customer charge, and you
4 want to apply the rider to other parts, say, I think
5 that's within your province to do.

6 MR. GRAY: There was one time we had GRSA
7 1 and 2. Then we kind of phased the one out to bring
8 this up. And you try to -- the customer will say,
9 what's this line item? Well, the revenue that we got
10 back from TOU, and you are going, oh.

11 CHAIRMAN BINZ: Okay. We have a
12 gentleman back here.

13 MR. BOWMAN: Eric Bowman with Akeena
14 Solar. Looking at this from two perspectives, one
15 being a homeowner in Xcel territory, I would always
16 defer to more information being available. Whether I
17 always wanted to access that information and utilize it
18 is probably dependent on whether I see an issue with my
19 cell phone bill, that was a reference. And I think
20 more or less information is better whether I have to
21 look at it every time or not.

22 However, I think the basis for that
23 information needs to be easily accessible. How do I
24 determine how they figure the GRSA, the commodity
25 adjustments, demand, whatever line items there are on

1 there. I just hinted to the fact that I am now looking
2 at it from the other perspective, in the solar energy.
3 I am doing tariff analysis on SG bills, and other types
4 of bills. And I find that -- I am not claiming to be
5 the brightest light on the street. I am certainly not
6 the dimmest either. And I sit with the tariff book out
7 and my spreadsheets and bills from multiple SG
8 customers, and I find it nearly impossible to determine
9 exactly how the numbers are being configured. So
10 sometimes they land to the penny. Sometimes I have to
11 say -- I have to make a judgement call on how they are
12 figuring out the number, and at least to have the
13 information available.

14 So, that, I don't know if I'm saying a
15 layperson should be able to find it or not, but at
16 least somebody who's in the industry, or even just
17 thinking hard about it, should at some point deal with
18 the hands-on answer. And at this point it's extremely
19 difficult to do that.

20 CHAIRMAN BINZ: Jennifer.

21 MS. GREMMERT: I think a lot of them are
22 statutorily required, the line items. That's how they
23 were passed. That is, in order to get a DSM, or an RPS
24 that -- or whatever, you had to expressly say what the
25 charge was. And I notice, from our perspective, as

1 we're doing more efficiency, we're trying to evaluate
2 the savings on things. And that's what we have been
3 doing, a lot more bill analysis. And we have somewhat
4 of a unique perspective in that we access our customers
5 bills regularly, from all of our utility partners, so
6 we can know what their heating usage was. We know what
7 kind of benefit is going to be able to keep them on,
8 those kinds of things.

9 And, I think that's becoming, you know,
10 with technology and just the evaluation piece of what
11 we're trying to do, we need to be able to access that
12 information. But whether the customer needs to know
13 it, I don't know, I mean -- and this question was
14 posed. I look at every single charge, every single
15 month, but nobody else does that, I know, that I talk
16 to. And so that's the balance, you know, is how much
17 information do you need to be able to make smart
18 decisions. And the bill is the only thing that we have
19 to do that.

20 And, I think the point was made earlier
21 that with more autopays and more on-line transaction,
22 that's going to become even harder. We're always
23 trying to access utility information to ask for
24 donations, or to tell people where they can find
25 assistance, and fewer and fewer customers are looking

1 at any of those pieces of information.

2 CHAIRMAN BINZ: Okay. I got Becky next.

3 MS. ENGLISH: I just wanted to point out
4 that -- Becky English with Sierra Club -- that our
5 22,000 members throughout Colorado, the kind of
6 feedback we're getting is we want to know, from a
7 global warming perspective, exactly what kinds of
8 emissions are happening, because of the generation and
9 use of electricity in our state. So, that probably
10 argues for a little bit more detail.

11 We also would like to see some kind of
12 explanation. For example, the ECA, which I variously
13 called, "electric commodity adjustment," and energy --
14 what is the other --

15 MR. ACKERMANN: Energy cost adjustment.

16 CHAIRMAN BINZ: Energy cost adjustment,
17 electricity cost adjustment.

18 MS. ENGLISH: You know, there's not a
19 very clear understanding that that's just a straight
20 pass-through to end-users of the cost of coal. And,
21 so, we need to, you know, there needs to be more than
22 the tiny note that there is on these bills about that.
23 Because when, you know, that one month out of 12 maybe
24 that a customer does want to take a close look at their
25 bill, they should be able to find out, you know, the

1 dollar cost of energy they are using. And they should
2 be able to know the environmental cost that's occurring
3 as a result of their energy use.

4 And this may be outside the purview of
5 this meeting, but we think that that information should
6 be available in aggregate for anybody to know. You
7 know, we want to know, you know, are we -- how many
8 tons of emissions are going into our common air every
9 year as a result of the operation of any given
10 generation plant. So, you know, we want some more
11 transparency. And I have a letter here I would like
12 to -- maybe I won't take the time to read this letter.
13 It's from one of our Sierra Club members. But --

14 CHAIRMAN BINZ: Sandy Lynn.

15 MS. ENGLISH: This one is actually from
16 Matthew Maul. Because, basically, I have a three-page
17 very gassy letter about these things. But -- I won't
18 take the time to read that. But I am just saying, in
19 general, we want the -- more transparency. We want to
20 know the fuel mix. We want to know what emissions are
21 happening as a result of this activity.

22 CHAIRMAN BINZ: Thank you.

23 MS. CONNELLY: I would just note that
24 twice a year, that information is provided to every
25 electric consumer, the fuel mix.

1 MR. GRAY: October and March, I believe.

2 MS. CONNELLY: That information is
3 provided.

4 MS. ENGLISH: In a separate flyer.

5 MS. CONNELLY: In the flyer in the bill
6 in October and --

7 MR. GRAY: March, I believe.

8 MS. CONNELLY: March.

9 MR. PALMER: We should keep in mind --

10 MS. CONNELLY: By Commission rule.

11 MR. PALMER: -- technology is going to
12 help this information gap too. And, in other words, we
13 looked at Boulder Smart Grid, and Web portal access by
14 link. It doesn't all have to be on the -- we don't
15 need an eleven-page bill to give that data. I think
16 there's ways that technology can help that.

17 CHAIRMAN BINZ: I want to respond. I had
18 this discussion with Roy and separately with Fred
19 Stoffel. I think you can obviously tell we have got
20 competing goals here. One is to make the bill more
21 readable, and the other is to put a whole lot more
22 information on the bill. It's not clear how you are
23 going to pull those off together, maybe. And everybody
24 would like to have piecharts, I mean, and the history
25 of your usage, this year versus last year, stuff like

1 or doing autopay.

2 CHAIRMAN BINZ: Banks also use the
3 Internet.

4 MS. CONNELLY: Autopay, you can autopay,
5 but we don't pay by the Website.

6 MR. ACKERMANN: Don't pay by the Website.

7 COMMISSIONER TARPEY: Just autopay.

8 CHAIRMAN BINZ: Jim.

9 MR. LAZAR: I have just taken this Black
10 Hills's bill, and without any opinions about trying to
11 reproduce it, and I'm within 3 cents, which isn't too
12 bad. And there's an energy charge -- I'm just going to
13 speak to the energy -- there's an energy charge of 7
14 cents a kilowatt-hour, a general rate adjustment on top
15 of that, an ECA, that's additive to that, a franchise
16 fee that is additive to the sum of the above, and a
17 city sales tax which is additive to the sum of the
18 above.

19 And when you put them all together, what
20 a customer can save by using one less kilowatt-hour is
21 10.75 cents. And that's a piece of information that's
22 actually useful to the customer. It's also appropriate
23 to show how much of it is going to the city and how
24 much of it is going to various things. I don't have a
25 problem with that at all.

1 What the customer needs to know, if I use
2 10 kilowatt-hours, I am going to save a buck, and
3 rolling it all together, that produces the bottom line
4 for the customer. Also, the customer charge is,
5 similarly, it's prorated across the partial month. So
6 it gets prorated. Then it gets the general rate
7 adjustment, and renewable energy adjustment, and
8 franchise fee, and city sales tax on top of that. And
9 I'm not sure what it comes out to on a monthly basis.
10 That's not something the customer is going to avoid by
11 using less or incur by using more. But it's rolled up,
12 the energy charge, with all of the adders and franchise
13 fees and taxes, is available for the customer. And
14 that's a piece of information that's useful.

15 CHAIRMAN BINZ: Thank you, Jim.

16 MR. GRAY: The question might be, if the
17 customer uses 100-kilowatt hours, he may see, with the
18 customer charge he adds in, he may see he's paying the
19 30 cents a kilowatt-hour, and he looks at our tariff
20 and says it's 6.78 cents, how am I paying 30 cents a
21 kilowatt-hour.

22 MR. LAZAR: That's right. Rolling up,
23 for energy charge, a single number. This is what you
24 will incur if you use more, this is what you will save
25 if you use less.

1 CHAIRMAN BINZ: What piece of information
2 is useful. What a tangled web.

3 MR. NELSON: Just a quick comment. Roy
4 mentioned earlier, we have rolled up the public
5 benefits charge to accumulate all of the various
6 riders. Just to make a note, we would strongly oppose
7 that. We do that in other states like Montana, where I
8 work as well. And the problem with that is perhaps,
9 not surprisingly, what happened is when one program
10 ends, the idea is, well, we have this public benefits
11 charge and we're already assessing, let's just find
12 some other way to spend that money, rather than
13 actually seeing those charges go down. They become
14 self-perpetuating. Just to make a note of that
15 suggestion.

16 MS. GREMMERT: That's brilliant.

17 COMMISSIONER TARPEY: You and Jennifer
18 have something in common.

19 MR. NELSON: We agree on the comment.

20 MS. LAPLACA: One of these focus group
21 studies found, when people understand their emissions,
22 they switch fuel choice. Basically, what we're looking
23 at, as more and more people wake up to the connection
24 of electricity production and global warming, when
25 people can see and understand where that is coming

1 from, they change their behavior.

2 And that we can provide the public -- we
3 can educate the public. We can all help ourselves by
4 making some very basic information, that's already
5 reported on the EIA, that's already reported to the
6 EPA, in simple easy to read graphs.

7 COMMISSIONER BAKER: I was just going to
8 ask Nancy, when the Chairman asked the question, does
9 it have a spot on the bill, or could it be in a, you
10 know, Web-based format. Do you have an opinion on
11 that?

12 MS. LAPLACA: People want it on the bill.
13 And they also want to be able to know how to relate
14 that to something like, what's my average compared to
15 nationwide or other people in Colorado. They need to
16 relate it to something, because they don't really know
17 what 600 kilowatt-hours means, and they also didn't
18 know that there was a difference in emissions between
19 like coal and natural gas. They really didn't know.
20 So when they see that, a lot of people will make a
21 choice based on emissions.

22 CHAIRMAN BINZ: Becky.

23 MS. ENGLISH: In reference to the point,
24 Chairman Binz, about the Web portal, I love this idea.
25 I think that would be great. And for those who don't

1 have Web access, or perhaps older people, maybe
2 customer service could be enhanced to have some verbal
3 ways and some U.S. mail ways to give people the
4 information they are looking for.

5 And I agree with Nancy that, you know,
6 people aren't going to be able to make the changes that
7 probably need to be made, without the information that
8 they need to make those changes. So, we really need to
9 provide this information.

10 MS. ORF: Diane Orf. And I must admit, I
11 don't look at my bills, so I can't tell you what you
12 already have on there. I am ashamed of myself. If you
13 go to a point where you are regularly displaying all of
14 the various emissions criteria and everything, for the
15 various fields, that I think it's incumbent upon the
16 Commission to have a utility show the relative cost of
17 energy for each of those sources, because there is a
18 difference. And, I think, people do make choices. So
19 I think all of that information is important to have
20 and to be read in context.

21 CHAIRMAN BINZ: Is that the last word?
22 Thank you all for a very productive afternoon. I don't
23 know what the next step in this docket will be, but
24 more to follow.

25 Whereupon these proceedings were

1 concluded at 4:45 p.m. on December 2, 2008.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATION

STATE OF COLORADO)
CITY AND COUNTY OF DENVER)

I, Harriet Weisenthal, do
hereby certify that I was present and reported
in stenotype the proceedings in the foregoing
matter; that I thereafter reduced my stenotype
notes to typewritten form, with the aid of a
computer, composing the foregoing transcript;
further, that the foregoing official transcript
is a full and accurate record of the proceedings
in this matter held at Denver, Colorado
on December 2, 2008.

FILED at Denver, Colorado_____.

Harriet S. Weisenthal, RPR